

U.S. DEPARTMENT OF COMMERCE

+ + + + +

COMMERCE SPECTRUM MANAGEMENT

ADVISORY COMMITTEE (CSMAC)

+ + + + +

MEETING

+ + + + +

TUESDAY

JUNE 18, 2013

+ + + + +

The Committee met in Room 4830 of the U.S. Department of Commerce, Herbert C. Hoover Building, 1401 Constitution Avenue, N.W., Washington, D.C., at 1:00 p.m., Gregory Rosston, Co-Chair, presiding.

PRESENT

GREGORY ROSSTON, Co-Chair  
LARRY ALDER, Member (by phone)  
DAVID E. BORTH, Member  
MARTIN COOPER, Member (by phone)  
MARK E. CROSBY, Member  
THOMAS S. DOMBROWSKY, JR., Member  
DAVID L. DONOVAN, Member  
HAROLD FURCHTGOTT-ROTH, Member  
H. MARK GIBSON, Member  
DALE N. HATFIELD, Member  
KEVIN C. KAHN, Member  
MARK A. MCHENRY, Member  
JANICE OBUCHOWSKI, Member (by phone)  
CARL POVELITES, Member  
RICHARD (RICK) REASER, JR., Member  
DENNIS A. ROBERSON, Member  
CHARLES M. RUSH, Member (by phone)  
DANIEL DEAN STANCIL, Member (by phone)  
THOMAS J. SUGRUE, Member  
BRYAN TRAMONT, ESQ., Member  
JENNIFER WARREN, Member

ALSO PRESENT

LARRY STRICKLING, Assistant Secretary of

Commerce for Communications and  
Information

TERESA (TERI) M. TAKAI, Department of Defense,  
Chief Information Officer

KARL B. NEBBIA

TOM POWER

STEVE SHARKEY

MAJ GEN ROBERT E. WHEELER, USAF

MARGARET (MOLLY) FELDMAN

## A-G-E-N-D-A

Welcome and Opening Remarks	4
Opening Comments from Co-Chairs	8
DoD Chief Information Officer Remarks	14
Trusted Agent Concept	31
Progress Report - CSMAC Working Groups' Liaisons	43
Next Steps	161
Future of CSMAC Work Topics	166
Opportunity for Public Comment	186
Adjournment	186

1 P-R-O-C-E-E-D-I-N-G-S

2 1:03 p.m.

3 CO-CHAIR ROSSTON: Welcome to the  
4 CSMAC meeting and we had a competition up here  
5 at the front for who could congratulate Karl  
6 first because his FCBA award in excellence in  
7 government service. Since I open the meeting,  
8 I'm going to congratulate Karl.

9 (Applause.)

10 I believe he is the first NTIA  
11 award winner in this category and it's  
12 definitely well deserved. So now I will turn  
13 this over to Larry.

14 ASST. SEC. STRICKLING: The actual  
15 event honoring Karl will be this Thursday  
16 night at six o'clock at the Microsoft D.C.  
17 office, 9th and K. So be there or be square.

18 Let me also recognize a special  
19 guest we have here today, Teri Takai, the  
20 chief information officer from the Department  
21 of Defense and I don't - I can't even count  
22 all of the excellence in government service

1 awards Teri has won in her term of duty here  
2 in Washington.

3 And prior to that, she was the  
4 chief information officer for the state of  
5 California and for the state of Michigan and  
6 she's been providing yeoman service as a  
7 member of the board of directors of FirstNet,  
8 the public safety broadband board that was put  
9 together here last year.

10 So welcome, Teri. We're really  
11 glad to have you here. I think this will be  
12 a really good discussion.

13 And I guess all I urge the  
14 industry people to do is Teri is, I think,  
15 really working hard to try to find solutions  
16 for the issues that face us and I think that  
17 we should remember that in terms of discussing  
18 some of these issues with her.

19 I mean, we have some very  
20 difficult things to deal with. We all know  
21 that. But I will tell you that Teri has been  
22 incredibly proactive and helpful throughout

1 the whole process regardless of what you think  
2 about government bureaucracy not being able to  
3 make decisions on these things.

4 We are far better off with having  
5 her working on these issues with us. So I  
6 look forward to a good discussion there.

7 Other than that, I just want to  
8 welcome everybody to today's meeting. Again,  
9 we continue to make good progress.

10 I know we've been hampered by some  
11 administrative issues, in particular the  
12 information-sharing one.

13 Tom is taking care of that with a  
14 direct order from the President that he got  
15 the President to issue last Friday and Tom  
16 will talk about that a little bit later.

17 But we recognize that as we try to  
18 build these new ways of working together and  
19 interacting with each other, we're going to  
20 run into these kinds of issues and I think the  
21 test for all of us is how ably we can solve  
22 them and how timely we can solve them and I

1 realize we're pushing it on the timely.

2 We've probably already gone too  
3 long on the timely part. But these aren't  
4 easy issues and we've got to find a way to  
5 solve them, all of these, in a way that's fair  
6 to industry, that is respectful of the nature  
7 of the information that needs to be shared and  
8 that builds a real solid structure for the way  
9 we're going to have to work together for years  
10 to come.

11 So I know we'll have a discussion  
12 on that in the course of today's meeting. But  
13 as always, I appreciate all the work that  
14 every one of you is doing and just as  
15 importantly all the work that many of your  
16 staff members are doing in terms of  
17 participating in the working groups on the  
18 1755 and 1695 bands and we're going to hear  
19 reports on all those today.

20 We look forward to hearing about  
21 all the progress and I look forward to keeping  
22 - pushing to get this spectrum reallocated in

1 a way that is responsible for both industry  
2 and the federal agencies.

3 So with that, I'll turn it back to  
4 our chair, Greg. Do you have any other  
5 announcements you'll be making?

6 CO-CHAIR ROSSTON: No, I wanted to  
7 do a little housekeeping first and then ask  
8 Tom if he wanted to say a couple words.

9 But let me just - one of the  
10 things - as you all know grab a microphone  
11 before you speak because we are recording this  
12 and broadcasting it.

13 And also I wanted to ask if there  
14 are any CSMAC members on the telephone to  
15 identify yourselves.

16 MEMBER OBUCHOWSKI: Janice  
17 Obuchowski is on the phone. Sorry I couldn't  
18 be there in person.

19 MEMBER FELDMAN: Molly Feldman.

20 MEMBER COOPER: Marty Cooper is on  
21 the phone.

22 CO-CHAIR ROSSTON: So I heard



1 Marty and Molly and Janice. Janice, Marty,  
2 Molly. Any -

3 MEMBER ALDER: And Larry Alder's  
4 on the phone as well.

5 CO-CHAIR ROSSTON: Okay.

6 MEMBER RUSH: Charlie Rush is also  
7 on the phone.

8 CO-CHAIR ROSSTON: Great. So I  
9 have Janice -

10 So we're only asking for the CSMAC  
11 members.

12 Great. Okay. Tom, did you want  
13 to say a few words?

14 MR. POWER: Sure. Thanks. First,  
15 I don't know if you've heard Karl Nebbia  
16 received an award. Seriously, let me join in  
17 the congratulations. Very well deserved and  
18 also we welcome you, Teri, here.

19 It's been great working with Teri  
20 the last few years as I've gotten into the  
21 spectrum issues and learned so much from her  
22 and her team at DoD and, of course, thank you

1 to Larry for his leadership here.

2 We did get the presidential  
3 memorandum issued last Friday. Thank you to  
4 many of you who helped or inspired it directly  
5 or indirectly.

6 The working groups that, you know,  
7 we're going to be talking about today are very  
8 much an inspiration.

9 They are basically called out in  
10 the memorandum as a model for the kind of work  
11 that needs to be going on and that needs to be  
12 improved upon if - as we execute on the  
13 memorandum.

14 You know, the work, as Larry said,  
15 is hard and I don't know that it's getting any  
16 easier but it does take the kind of  
17 collaboration that these working groups have  
18 been doing and focus on the memorandum is to  
19 find more ways to open up information, to  
20 share information, to share expertise and to  
21 bring the benefits of spectrum to the American  
22 consumer while at the same time protecting the

1 vital federal systems that run on it.

2 It is - it's been a - I think a  
3 successful process to date to an extent but as  
4 Larry recognized we've - you know, we do run  
5 into challenges and that's the way it goes.

6 We're sort of on new territory in  
7 a lot of ways in terms of sharing of data,  
8 sharing of information, sharing of expertise  
9 and it's to be expected that things won't go  
10 perfectly.

11 I think a lot of times from the  
12 outside there are folks who don't see the hard  
13 work that you folks are engaged in, that all  
14 the members of the working groups are engaged  
15 in.

16 But that's okay because we know  
17 the hard work will continue because it's so  
18 important to the mission of the agencies, to  
19 the economy and the country and it's - you  
20 know, when you look at it from the nationwide  
21 consumer business perspective what it's doing  
22 for jobs, what it's doing for productivity,

1 you know, the success we've been having with,  
2 you know, having more - most of the world's 4G  
3 subscribers living in this country, the  
4 biggest manufacturer of wireless chips in this  
5 country, operating systems for wireless  
6 devices are products of this country.

7 Wireless apps are an American  
8 industry. It's great stuff but we have to  
9 continue to build on it and at the same time  
10 make sure that the vital federal systems that  
11 allow all that to happen that keep us safe and  
12 that serve us in so many ways are also  
13 protected.

14 So it's obviously a big priority  
15 for the President. That's why he put out the  
16 memorandum in June 2010.

17 That's why, you know, the  
18 administration has been working so hard with  
19 respect to 3.5 gigahertz spectrum that the FTC  
20 has now put out for rulemaking, the 5  
21 gigahertz spectrum that the FCC has now put  
22 out for rulemaking, the legislation that we

1 worked so hard on and worked with the Hill,  
2 with Republicans and with Democrats, to get  
3 that done.

4           The incentive auctions - the FCC  
5 will be - that are setting the rules for it  
6 now, the other work that the FCC has been  
7 doing, the mobility fund for universal  
8 service, the broadband grants, it's a - I'm  
9 assembling the list here just to remind  
10 everyone of how important this is to the  
11 administration and to thank you for the work  
12 that's gone into all this, and looking forward  
13 to hitting the ground running with this  
14 memorandum and building on our successes. So  
15 thanks.

16           CO-CHAIR ROSSTON: Thanks, Tom.  
17 So I want to now - Larry already did the job  
18 of introducing Teri Takei to everyone.

19           I just want to say that, you know,  
20 I think that these working groups have been  
21 working really hard in a lot of the - a lot of  
22 the membership and work on it is due to people

1 in the Department of Defense.

2 So I want to thank Teri for taking  
3 the time to come here and talk to us all about  
4 the process and how things are working and we  
5 do appreciate all the work that's being done.

6 So we've got sort of two sections  
7 that are - that can be kind of melded together  
8 if you want, however you want to take on this  
9 and start talking. You should probably drag  
10 the microphone closer to you.

11 MS. TAKAI: Yes, I think that's  
12 probably true. Well, thank you very much for  
13 having me today. We really appreciate the  
14 opportunity to be here.

15 Let me just open up with a couple  
16 of comments that I think follow on to Larry's  
17 comments and to Tom's comments because I think  
18 they are extremely important.

19 First of all, you know, we really  
20 appreciate the work that NTIA has done to  
21 actually set up and start this and keep this  
22 process moving.

1           I think you can see by virtue of  
2           our contribution of personnel and leadership  
3           in the teams that we are very focused on  
4           making this process work.

5           It's extremely important to us  
6           going forward to be able to come up with  
7           solutions that work both for industry but also  
8           in terms of our fulfilling our  
9           responsibilities from a national security  
10          perspective.

11          So, you know, Larry and Karl,  
12          something about an award. Anyway, we just  
13          want to, you know, say that we very much  
14          appreciate that.

15          The second thing is I really want  
16          to thank Tom Power. You know, every time Tom  
17          gets tasked with writing an executive order or  
18          a letter or a press release, he is good enough  
19          to call us and actually work with us in terms  
20          of actually, you know, what are our concerns  
21          or, you know, how would we approach it.

22          And Tom, you know, this last EO I

1 felt was very, very really well done, very  
2 well balanced.

3 I thought it gave us all a good  
4 way ahead. So I just want to thank you for  
5 your willingness to really work with us.

6 So I have a bunch of remarks which  
7 are probably irrelevant because I think we  
8 might as well get to the core issue here and  
9 I'm sort of warmed up since I did a Washington  
10 Post webinar.

11 For those of you that had the  
12 chance to hear that this morning, it was one  
13 of my fun experiences for the day.

14 So today's my spectrum day. Where  
15 we are is, you know, we've been working  
16 through the process. So there are several  
17 areas where I know that DoD has been a  
18 challenge.

19 One of them has definitely been -  
20 let me just back up in terms of the inventory  
21 process - and that has been a challenge in  
22 terms of how do we provide the CSMAC with



1       adequate information to be able to do analysis  
2       and yet still not have that information be  
3       such that you can, if you will, reengineer  
4       back into what the impact could be on our  
5       systems.

6                       And we have clearly not hit the  
7       mark in terms of all of what you would like to  
8       have in order to be able to do that sharing  
9       and it is something that we have to continue  
10      to work on so I want to start with that.

11                      But, clearly, despite the fact -  
12      and this is where NTIA really worked with us -  
13      despite the fact that we couldn't get all of  
14      the inventory out in a timely fashion, what we  
15      tried to do was to get at least preliminary  
16      information out and then as we could get  
17      through our lawyers to ensure that we weren't  
18      doing anything that was in jeopardy to get the  
19      remainder of the information.

20                      And we'll come back to that when  
21      we talk about perhaps some of the things that  
22      we could do for the future.

1           The second issue has been around  
2           the NDAs, which was a lengthy process. I know  
3           all of you know that, I know Larry knows that,  
4           I know Tom knows that in terms of what the  
5           challenges have been.

6           When we finally have peeled the  
7           onion back, we have two issues - one, which I  
8           think we have hopefully a solution for, and  
9           the second one, which I think is the topic of  
10          the next item, which is really how do we - how  
11          do we do and how do we look at this as a way  
12          going forward, all right.

13          The two challenges that we had  
14          with these initial NDAs, one of which is not  
15          easily solvable, is as Larry reminds me, I'm  
16          very often paranoid and I'm paid to be  
17          paranoid.

18          So that's a challenge that we're  
19          going to have going forward that we're going  
20          to have to work through.

21          The second issue was really one  
22          that perhaps we didn't fully understand until

1 we got the lawyers together was a concern  
2 about protecting those individuals who signed  
3 the NDAs to ensure that their companies would  
4 not be precluded from future business  
5 opportunities with DoD in the sense that if  
6 they got this advance information was there  
7 the possibility that later in any business  
8 that you bid for, it could be construed that  
9 you had - your company had prior knowledge.

10 Now, I understand that for those  
11 of you that are telecom companies it's a  
12 pretty big stretch, right. But for others of  
13 you who are in the telecom business and yet  
14 sell other things to DoD, that is a  
15 possibility, as remote as it all might be.

16 So one of the things that General  
17 Wheeler did, and I'm going to let him speak to  
18 the next steps here because one of the things  
19 that is important is that from a public record  
20 standpoint that we've also disclosed our  
21 process to ensure fairness. So that, again,  
22 you know, that's something that we can do

1 going forward.

2 We have in fact worked with Steve  
3 Sharkey and several folks - I think a couple  
4 of people in this room - to actually craft a  
5 set of questions that effectively, by virtue  
6 of the answers, ensure that there was a fair  
7 and open process so that we can put that fair  
8 and open process on the public record so that  
9 as each of the individuals, the 12 companies  
10 that will sign the NDAs, that there will not  
11 be a risk that at a future point in time that  
12 could be an issue, all right.

13 And we've received the responses.  
14 We've received the responses, in fact, this  
15 morning so this is late-breaking news. The  
16 lawyers are now - my lawyers are now going  
17 back.

18 We've written all of the NDAs.  
19 We're just validating whether the NDAs need  
20 any, you know, changes by virtue of the  
21 responses that came back.

22 Barring that, we will plan to get

1 all of those. You know, we'll sign them.  
2 We'll get them all out to you to be signed and  
3 that will hopefully alleviate at least the  
4 short-term issue.

5 But before I go any further, let  
6 me just give General Wheeler the opportunity  
7 to just walk through some of the details that  
8 we want to make sure are included from a  
9 public disclosure standpoint in terms of the  
10 way that the companies were selected to make  
11 sure that there's no, you know, future  
12 assumption that, you know, was it a fair and  
13 open process.

14 MAJ. GEN. WHEELER: Ma'am, you  
15 pretty well covered it all but I'll walk  
16 backwards on a couple of the comments in  
17 there.

18 Bottom line to that, I do want to  
19 say thank you to Steve Sharkey and his team  
20 because his folks came in and we worked it out  
21 with a group of government lawyers that are  
22 FACA experts to protect the companies from an

1 acquisition perspective for future  
2 acquisitions and their team.

3 And they came through those and we  
4 turned the questions very quickly and those  
5 have provided the basis for an NDA that will  
6 go out to draft - it should be out the door  
7 either late today or tomorrow - that'll allow  
8 them to make any final changes or any  
9 disagreements that we have in there to work  
10 through.

11 And that lets the next step, that  
12 once they are given the restricted data, if  
13 you will, the FOUO data, the for official use  
14 only data, in the conglomerate that they'll be  
15 able to do their analysis and bring it back to  
16 the CSMAC group here and vet the analysis in  
17 the public forum from that particular  
18 perspective.

19 That also goes back to the  
20 discussion within the questions that talked  
21 about how the individuals were selected within  
22 the working groups and the CSMAC process and

1 that it's open if somebody else wanted to come  
2 in sometime and wanted to be a part of that  
3 team, and that really encompasses it.

4 It's been a really interesting  
5 discussion through all the different  
6 government agencies on the - on the processes  
7 and the legal aspects of it.

8 But I think we've got a good way  
9 forward here. Barring any other problems out  
10 there, I think we'll have a very quick way  
11 ahead to get this particular data out for use  
12 and be able to vet that particular data to see  
13 if there's any other ways ahead that we're  
14 missing. And that's it.

15 MS. TAKAI: Thank you. Before we  
16 move on to just some discussion around, you  
17 know, sort of approaches to future  
18 information-sharing, let me just stop here if  
19 I could and just ask if there are any  
20 additional questions about the process or  
21 about what General Wheeler just spoke to.  
22 Yes, sir.

1                   MEMBER MCHENRY: What was the  
2 process to pick the 12 people? We didn't know  
3 about it. I didn't know about it.

4                   MS. TAKAI: Pardon me?

5                   MEMBER MCHENRY: What was the  
6 process to pick the 12 people?

7                   MS. TAKAI: General Wheeler, do  
8 you want to just walk through how that was  
9 done in the group?

10                  MAJ. GEN. WHEELER: Basically, it  
11 came out of the working groups. They  
12 volunteered out of the working groups.

13                  They went forward and asked if  
14 these were the folks that Steve here joined  
15 and if I - if I need to be corrected but came  
16 to the work groups, requested volunteers.

17                  Our volunteers came forward to the  
18 larger piece and anybody can be added at any  
19 certain point in that particular area. But it  
20 was based upon that and not a lot of people  
21 wanted to volunteer for that because it was a  
22 lot of added work.



1                   And so from that perspective the  
2 folks that did want to come forward and they  
3 represent a cross section of industry all the  
4 way across for those 12 folks, and we can add  
5 more at any time in the future if anybody  
6 would like to join.

7                   MS. TAKAI: Steve, do you want to  
8 speak to that? Because I think in many ways  
9 it was a CSMAC - I mean, I called General  
10 Wheeler up here but it was a CSMAC-run  
11 process.

12                   So I don't want to - you know, we  
13 didn't by any means prejudice who volunteered  
14 or who was selected and I think that's very  
15 important.

16                   MR. NEBBIA: And just  
17 administratively just to be - actually we've  
18 got a member here who's asking somebody in  
19 support of him to do the speaking.

20                   Part of our challenge here is this  
21 just can't become a public, you know, open  
22 discussion. So just to try to maintain some

1 sense of FACA control.

2 MS. TAKAI: Okay.

3 MR. SHARKEY: So it was a list  
4 that was selected of - from the working groups  
5 of the companies that were participating in  
6 the working groups.

7 So we went through and selected  
8 one participant from each of the companies  
9 that were providing active technical support  
10 in the working groups.

11 It didn't include CSMAC members  
12 because the CSMAC members themselves are not  
13 really active participants in the working  
14 group although I know, you know, they've got  
15 a role there and as liaisons in the working  
16 group process.

17 So I think that was - you know, so  
18 we just selected those and then circulated  
19 amongst the wireless industry participants  
20 that were participating in the working group  
21 and came to agreement on that.

22 CO-CHAIR ROSSTON: So is it the

1 understanding that if there are others who  
2 would like to be involved - there was no one  
3 who was cut out?

4 MR. SHARKEY: Yes, absolutely.  
5 Right. There was no - you know, the intent  
6 was that anybody that was actively  
7 participating or had an interest in  
8 participating would be able to, you know,  
9 provide a representative there.

10 CO-CHAIR ROSSTON: Let me just  
11 move one step backward just to make sure this  
12 is clear for everybody is, the working groups  
13 themselves at the start were open to anybody  
14 coming in so there's been no culling of  
15 anybody or no secret, no sort of prevention of  
16 anybody getting involved.

17 If people have been involved in  
18 the working group from the start they were  
19 allowed to do that if they wanted to be  
20 involved and then these were, again, to  
21 further the work to be involved in this.

22 That's a reasonable understanding

1 of how the process worked and that if people  
2 in the working group want to get involved in  
3 this they can. Do you have clarification,  
4 Karl?

5 MR. NEBBIA: Just to be certain,  
6 in this case there's - the intention is some  
7 direct sharing of information and discussion  
8 between the participants in this group and  
9 DoD. That's the reason the NDAs are required.

10 So anybody who wants to  
11 participate on this basis is going to have to  
12 get into the NDA arrangement. So this is a  
13 discussion essentially between DoD and  
14 participants in the working group very  
15 directly.

16 So just so you - if you want to  
17 raise your hand and say man, I'd like to  
18 volunteer - I was in the working group just  
19 remember this is - this is going to be a  
20 component of it. You're going to have to -  
21 they'll sign NDA and if they have an agreement  
22 then -

1 MS. TAKAI: I think that's a good  
2 distinction, Karl. There is a distinction  
3 between how people either select or self-  
4 select and then what the next step is in order  
5 to be able to participate. I think that's a  
6 good distinction, yes.

7 MEMBER REASER: This is Rick  
8 Reaser. The question is what class of  
9 information are we talking about as far as  
10 non-disclosure agreement? Is it for official  
11 use only?

12 MS. TAKAI: FOUO.

13 MEMBER REASER: Okay. So  
14 basically this NDA entitles someone to be -  
15 now, for CSMAC member since they're already  
16 special government employees is are we - I  
17 thought - what's the rule for CSMAC members?

18 I thought CSMAC members were  
19 eligible for FOUO, or not. That's the  
20 question.

21 MR. NEBBIA: I mean, I don't - we  
22 have to go back and check that exactly but -

1 MS. TAKAI: I don't know. I don't  
2 know the answer to that.

3 MR. NEBBIA: So we'd have to -  
4 we'd have to look that up. But, certainly,  
5 the intention of the discussion as requested  
6 by the participants in the working group was  
7 to have a conversation between the people who  
8 are producing equipment and operating services  
9 who had this - the direct need because they're  
10 the people in the end that are going to be  
11 coordinating outcomes.

12 Wasn't intended just to get people  
13 of general interest or other things engaged  
14 but to actually directly work on those issues  
15 where, certainly, as we - as we look at the  
16 working group reports we've come to a place  
17 where we need more detailed discussion if  
18 we're going to move the ball forward.

19 CO-CHAIR ROSSTON: Are there  
20 questions on this piece? Anyone on the phone?  
21 Okay.

22 MS. TAKAI: All right. So if I

1       could, let me just move to the next  
2       discussion.

3                       One of the things that NTIA, Larry  
4       and Karl and I were talking about in terms of  
5       thinking about how we could do this in the  
6       future and particularly as we move to not just  
7       unclassified information but just an  
8       understanding overall is to really - and one  
9       suggestion that we've been thinking about is  
10      whether or not there was some type of a  
11      trusted agent arrangement that we might be  
12      able to create where in fact there are several  
13      organizations inside government who are doing  
14      quite a bit of technical work around spectrum.

15                      Certainly, we've got the defense  
16      spectrum organization. I know that NIST does  
17      some spectrum work. There are others in  
18      government that do spectrum work.

19                      And so I think from the standpoint  
20      of information sharing, it becomes much easier  
21      for us and, quite frankly, more protected if  
22      in fact we're giving our information to a

1 government agency or a government related  
2 agency that has the protections of that  
3 government agency and then somehow that group  
4 then can work with industry in a way that does  
5 not really jeopardize that information being  
6 used for other purposes.

7           And let me be clear - I'm  
8 certainly not concerned about, you know,  
9 members of this group but clearly, in order to  
10 do this work it has to be done by engineers.

11           It's going to be done in working  
12 groups. You know, those individuals are going  
13 to move around to different places, to  
14 different companies.

15           I mean, perhaps they'll all stay  
16 within the groups that are in this room. I  
17 don't know exactly how people move around.

18           But I have to be concerned about  
19 not only where that information is going to go  
20 while they're working on it at the point in  
21 time that we're working on it with the CSMAC  
22 group but, clearly, these systems are going to



1 be around for a while and the systems that  
2 we're talking about are systems that actually  
3 train our men and women so that they have the  
4 capability to do their jobs and do their jobs  
5 anywhere in the world.

6 And the potential that that could  
7 be disrupted from a training perspective here  
8 in this country particularly with the  
9 challenges that we have from the cyber  
10 perspective I think we just all need to be  
11 cognizant of and we need to, you know, step  
12 back and think about what is a way.

13 And, again, you know, one of the  
14 concepts that I'd like to talk more about and  
15 I've spoken to NTIA about is thinking about a  
16 government agency that could be that  
17 intermediary from a trusted agent perspective.

18 Haven't worked out all the  
19 details. We've just started to think about  
20 it, started to think about who the right group  
21 might be, where the right expertise might be.

22 You know, there's a lot of things

1 that we would need to do still but I'd like  
2 to, you know, concentrate that work, first of  
3 all, in a smaller group of people.

4 Try to use, you know, government  
5 and government clearances to try to help  
6 protect that information and then just for us  
7 all to think about, you know, from a national  
8 security perspective it isn't just that  
9 information today.

10 It's about where that information  
11 could go, how that information could be  
12 accumulated and then none of us five years  
13 down the road, I think, whether we're in  
14 government or we're not in government, want to  
15 be in a situation where that information was  
16 used to jeopardize men and women, you know,  
17 who are there representing us.

18 So that's, I think, the challenge  
19 for us going forward. We're open to any  
20 suggestions that you have in terms of work  
21 that you do with other government agencies -  
22 you know, areas where you're able to do the

1 sharing.

2 But, again, my request is, you  
3 know, we're not openly trying to hide  
4 information.

5 We're not openly not willing to  
6 work with you. You know, clearly, you know,  
7 for any of us to be able to share spectrum or  
8 vacate spectrum is going to take time and it's  
9 going to take money and we're willing to  
10 invest.

11 I mean, we've put a lot of time  
12 into each one of these working groups.

13 I haven't held back staff at all  
14 in terms of, you know, being there to be on  
15 every single working group and I think  
16 carrying the bulk of that and we're all taking  
17 that out of hide. I mean, you know, I'm  
18 furloughing people. We have sequestration.  
19 I'm not trying to whine.

20 I just want to give you a  
21 perspective that we really feel that we are  
22 working to contribute but there just are some

1 things from an information sharing perspective  
2 that it's my responsibility to find the right  
3 way to be able to do that so that, again, we  
4 can get to some solutions from a sharing  
5 perspective that work for everyone.

6 So, you know, with that, Larry, I  
7 think I mentioned to you that, you know, there  
8 are options.

9 As I say, you know, one of the  
10 organizations that actually is a part of  
11 Commerce and in fact it's an organization that  
12 together between DoD and NIST we've set up a  
13 testing operation because we feel like we  
14 needed an all-of-government ability to be able  
15 to test rather than each individual  
16 organization testing.

17 So between NIST and DoD we've set  
18 up an organization that will do testing.  
19 NTIA, yes, and what did we call it? We called  
20 it NASTA, right? Yes, we called it that.

21 Anyway, I'll have to figure out  
22 what the acronym is. So I just think that

1       that's an example.

2                   I think another opportunity, Tom,  
3       is, you know, some of the things that were in  
4       the EO that talked about setting up an  
5       organization that could effectively do some of  
6       this engineering work, that may be the right  
7       avenue for us going forward.

8                   So we have a couple of  
9       opportunities, I think, by virtue of the work  
10      we're doing with NTIA, you know, the work  
11      that's been laid out as part of the EO to see  
12      whether or not we could use those constructs  
13      to be able to set up this kind of a trusted  
14      agent kind of an arrangement.

15                  So I look forward to working with  
16      you on that because I think that is a better  
17      way ahead than, you know, sort of consistently  
18      - the NDAs get us through the short term but  
19      I think we need something that's a little more  
20      dynamic to work for the future.

21                  So that's really it for me. Thank  
22      you very much.

1 CO-CHAIR ROSSTON: Okay. Carl?

2 MEMBER POVELITES: Carl Povelites.

3 How would a trusted agent then work with - I  
4 mean, I understand the NDA concept because the  
5 companies themselves can be participating in  
6 the - I can see how the NDA process can work  
7 because the individuals from the companies  
8 themselves will be working in obtaining the  
9 information.

10 Under a trusted agent scenario  
11 where it's a government entity being the  
12 trusted agent, how does that information  
13 sharing then - how would that get back to the  
14 industry participants and at such a level that  
15 they wouldn't need an NDA or I'm just trying  
16 to -

17 MS. TAKAI: I guess what my  
18 concept is and we need to work it but the  
19 question would be would you - would there be  
20 the need for an NDA for, you know, each area  
21 of information and then is there - would there  
22 be a way for the trusted agent to bring all

1 those data together so that it isn't  
2 necessarily these data are identified as DoD  
3 and then have the industry folks actually work  
4 with the trusted agent.

5           So there's sort of a buffer zone,  
6 if you will. But, again, I'm only bringing  
7 out concept to all of you. You know, we  
8 haven't fleshed out the detail but we do have  
9 arrangements, other kinds of arrangements,  
10 where we use sort of a trusted agent  
11 intermediary and we just need to see if that  
12 would work.

13           If it doesn't then, you know,  
14 we'll have to look at what are some of the  
15 other opportunities. And what I will tell you  
16 is that, you know, as we work through how to  
17 solve this problem I also really would  
18 appreciate information and input from you as  
19 you think into, you know, how would you hold  
20 your engineering folks accountable for the  
21 information and how can you ensure that that  
22 information isn't then - when that employee

1 leaves your employ or five years from then  
2 when they're in a wholly totally different job  
3 how would they be accountable just as a  
4 government employee is accountable for  
5 ensuring that that information doesn't get  
6 into the hands of a party who will  
7 effectively, you know, could look to damage  
8 the United States.

9 And I'm open to suggestions but  
10 that is the dilemma that I have. That is the  
11 challenge, I think, that we all have to face  
12 in terms of being able to work through this  
13 problem.

14 CO-CHAIR ROSSTON: Tom?

15 MEMBER SUGRUE: Is this on? Good.  
16 Hi, Teri. Tom Sugrue with T-Mobile. For the  
17 purpose of this group I work for Steve Sharkey  
18 and he's - but I - and we appreciate all the  
19 progress we've made here and the good will and  
20 I just want - and the executive order and the  
21 work Tom and Larry and others have done and,  
22 of course, Karl.



1                   But I just want to add, you know,  
2                   time is of the essence with respect to this  
3                   one block of spectrum that's so critical to  
4                   the mobile broadband industry, that 25  
5                   megahertz.

6                   The clock is ticking. We,  
7                   together with AT&T and Verizon, have put  
8                   together an industry roadmap that we approach  
9                   with great seriousness and included as much  
10                  detail as we could given the information we  
11                  had to try to move the ball forward.

12                  If we miss the window on this  
13                  it'll be a big loss, you know, for all of us.  
14                  We had a meeting with someone in the White  
15                  House on this and they asked well, how much  
16                  would that spectrum be worth if you unpaired  
17                  and 20 cents on the dollar.

18                  We said well, maybe the upper part  
19                  would be 20 cents on the dollar but 1755 to 80  
20                  would be about a nickel on the dollar, if  
21                  that.

22                  There's nothing to pair it with,

1 not even sure what we'd do with it if we miss  
2 the pairing opportunity. By contrast, it's  
3 tremendously valuable if we can - if we can  
4 get it.

5 We've tried to move the ball  
6 forward in the letter in which the CTOs of  
7 each of these companies said okay, we heard  
8 that you're worried - you don't trust us. You  
9 know, you don't trust us.

10 We'll give you that spectrum or  
11 give you access to it under whatever sets of  
12 rules and sharing principles are appropriate  
13 and you'll be back the next week the sooner to  
14 get your greedy hands on that, saying now we  
15 want the next 25.

16 So we basically said something I  
17 don't think industry's ever said which is  
18 we'll say hands off for that remaining 70  
19 megahertz for the next ten years.

20 You won't hear from us on that.  
21 And that took a little bit of, you know, stiff  
22 upper lip because you don't know where the

1 industry's going to be. Ten years in spectrum  
2 world is, you know, practically infinite.

3 So I just hope that's taken as a  
4 good will gesture. It was intended that way.  
5 I mean, it wasn't intended as a throwaway if  
6 that's - and but we look forward to working  
7 through this process and hope we can find a  
8 solution to that. Thank you.

9 CO-CHAIR ROSSTON: Other comments?

10 MR. NEBBIA: Just as we look  
11 ahead, as Teri was saying, we are looking for  
12 a way to reproduce what works out positively  
13 here and so we'll be looking at the set-up  
14 that DoD has been talking about.

15 We have, you know, had other, you  
16 know, brain bubbles come up about well, DoD's  
17 been represented by a contractor in most of  
18 this analytical work - is it possible to have  
19 the private sector represented by a contractor  
20 so you're dealing with one entity on both  
21 sides.

22 Are there other approaches that

1 can be, you know, can be taken to make this  
2 work. So if you have thoughts down that line  
3 we would certainly love to hear them.

4 Some of you have been right in the  
5 middle of all this and, you know, when you  
6 come out the other side we'll be looking for  
7 your recommendations on how we could do it.

8 We have other bands that are  
9 currently in process, the 3.5 band, and - if  
10 anybody's on the phone, if you could make sure  
11 you've muted your phone we'd appreciate it.

12 But the 3.5, some of the 5  
13 gigahertz bands whether that, you know, would  
14 be worthwhile and bring them in here. Right  
15 now they're being dealt with elsewhere and  
16 that may be the right way to go.

17 But we are looking for your  
18 feedback on this - on this concept because  
19 ultimately the dialogue has to go on if we're  
20 going to work through these issues.

21 Whether they involve sharing,  
22 transitioning toward relocation or relocation

1       itself there's going to have to be this kind  
2       of discussion.

3                   CO-CHAIR ROSSTON:   Thank you.  
4       Great.   Thank you very much, Teri.   We really  
5       appreciate all the work that you and your team  
6       have been putting into this process and I  
7       think it, you know, it's going to make a big  
8       difference and hopefully we'll be able to move  
9       forward with not only the trusted agent  
10      concept but also getting the spectrum so that  
11      it is useable by both the Defense Department  
12      and by commercial interest.   So we really  
13      appreciate all this work.

14                   Okay.   Why don't we move on to the  
15      progress reports on the working groups, and I  
16      think the first working group is Working Group  
17      Three and is that Rick going to take charge on  
18      that one?

19                   MEMBER REASER:   Yes, and I don't  
20      know whether Charlie is still on the phone but  
21      we spoke briefly at this point.

22                   Okay.   So, basically, Working

1 Group Three dealing with satellite uplinks and  
2 electronic warfare and a lot of things have  
3 happened since when we returned the slide -  
4 slide review a week ago.

5 So we returned to the slides a  
6 week ago and I thought we had reached some  
7 closure but apparently we didn't because  
8 yesterday morning when I got in the airplane  
9 DoD had a bunch of comments.

10 So I didn't update the slides. I  
11 didn't have time to do that since I was  
12 flying.

13 So I'm just going to sort of talk  
14 about what DoD's comments were and sort of  
15 give my perspective and Charlie's perspective  
16 at the end of this thing.

17 So basically - go to the first  
18 slide - there are three basic areas that we're  
19 looking at in this working group.

20 One has to do with the  
21 interference from the mobile handsets that  
22 essentially include satellite receivers. The

1 second has to do with interference from the  
2 satellite uplink transmitters into the base  
3 stations and the third had to deal with  
4 electronic warfare.

5 So, essentially, I won't read the  
6 slides but we actually got the inputs for the  
7 text this morning from DoD on the interference  
8 from the handsets into the satellite receiver.

9 So that came in this morning as I  
10 was driving over here from the hotel. So  
11 we'll take a look at that. This is the first  
12 block of texts we've gotten from DoD so we're  
13 pretty pleased with that input from the  
14 Department of Defense.

15 The other thing that's sort of  
16 gone - DoD has relooked at this issue and they  
17 have some additional reservations in their  
18 latest submission about this and I'll talk a  
19 little bit more about that in the - later on.

20 The second issue was the  
21 interference from the satellite uplink  
22 terminals into the commercial base stations.

1 DoD - one of their comments was they felt that  
2 it might be too strong a word to say that you  
3 can mitigate interference through - from the -  
4 they'd like to have that word changed to may  
5 so that was one of the inputs.

6 The other thing that happened was  
7 that we actually received last Thursday after  
8 we put these slides together the Phase Two  
9 study that was talked about there.

10 So that came - that came out on  
11 Thursday. There was a meeting on Monday which  
12 unfortunately I was flying at the time where  
13 they went through that.

14 I think that the wireless people  
15 are taking a look at that and there's a lot of  
16 useful information in that.

17 From my perspective, there wasn't  
18 - I was sort of expecting more but I  
19 understand the dilemma's about information  
20 transfer and release and so forth. But so  
21 that information is under review right now by  
22 the - by the working group and hopefully will



1 generate some text.

2 We didn't get any text for that  
3 part of it from DoD. Right now we have a  
4 baseline text which was created by the  
5 industry people and DoD has commented on that.

6 So I'm not exactly sure the status  
7 of where that stands in that particular set of  
8 texts dealing with that issue.

9 But our first sort of drafting  
10 group is going to be this Thursday to start  
11 going through the texts that we just got on  
12 the uplink interference into the satellite  
13 receivers and then we'll start talking about  
14 this.

15 The other thing was that there was  
16 an expectation in some of the action items  
17 that we were going to get a second report  
18 about mitigation techniques and ideas to  
19 mitigate the satellite uplink transmitter  
20 interference into the base stations and DoD  
21 told us that there's not going to be a second  
22 release and that basically they released all

1 the information they're going to release.

2 And then the details of all this  
3 we worked out during the drafting so there  
4 won't be an additional mitigation section or  
5 information.

6 They're going to - they're going  
7 to work that in the drafting groups when we  
8 get going on the actual text.

9 Electronic warfare - it took us  
10 about six or eight months to get the text done  
11 but we have a very short text that has been  
12 agreed to on electronic warfare.

13 It doesn't say much because the  
14 federal agency didn't want to release much  
15 information for us to go through.

16 But basically it says that  
17 electronic warfare will continue to operate on  
18 a noninterference basis to this - to any new  
19 services introduced into the band and we made  
20 some recommendations about that FCC and NTIA  
21 and DoD look and make sure that they have  
22 adequate models to increase the potential

1 increased workload, assessing those things,  
2 because essentially when you operate on a  
3 noninterference basis you kind of have to  
4 verify that to yourself, and your models and  
5 tools you should be able to do that.

6 So we had offered to take a look  
7 at that but that was something they wanted to  
8 do so they're going to - we recommended they  
9 do that on their own.

10 So that's - those are the key  
11 subject areas. Just to sort of summarize, I  
12 think where we're at on the devices and the  
13 receivers we have DoD's information.

14 They were - unfortunately they had  
15 - the industry couldn't really be a part of  
16 that because there was a lot of sensitive  
17 information so DoD did their own study on  
18 that.

19 And so in the second release there  
20 was some additional text that sort of maybe  
21 cautioned that we may be too optimistic about  
22 whether that's interference or not.

1           The information that - and we have  
2           the text - got that this morning now so what  
3           the issue is is that the department wants to  
4           have a mechanism to assess whether as things  
5           build up in the mobile handset thing whether  
6           that's going to cause interference.

7           Now, the number that was in the  
8           report was this minus 205 number which is a  
9           pretty low number and I think industry is, you  
10          know, that's like - I won't get into it but  
11          that's a number that's pretty amazing.

12          But the industry believes that  
13          they can beat that number or build out anyway  
14          so they're not really worried about the  
15          number.

16          As many of you know, I was - I ran  
17          the original studies on this stuff like 13, 14  
18          years ago and I think it's important that the  
19          department and anybody who operates this band  
20          understand that the rest of the world actually  
21          operates in this band already in large  
22          numbers.

1                   So I think that the DoD would  
2 really be wise to go back and take a look at  
3 the numbers around the rest of the world as  
4 well because that band is pretty well built  
5 out in Europe and a lot of other places.

6                   So the problem with the  
7 satellites, if there is a problem, is not  
8 going to be just for the United States. So  
9 that would be one of my suggestions.

10                  I actually ran that study in 1998.  
11 So and that was before they actually had the  
12 whole thing built out. So that's where we are  
13 on that one.

14                  Got the text, the studies are done  
15 and so now we're going to have to go through  
16 and work out - work out the details.

17                  And the other thing is what the  
18 mechanism would be to sort of guarantee - give  
19 DoD comfort that somehow the U.S. build-out  
20 was not to the point of interfering with  
21 satellites with this minus 205 number. So  
22 that's where that's at.

1                   Okay. On the interference from  
2 the satellite terminals into the base stations  
3 we got the - we got the report last week and  
4 that's being looked at and so the industry  
5 people were kind of going through that.

6                   There's a lot of interesting  
7 information. It was like briefing slides and  
8 so just have to parse that into things that  
9 can be used in models and so forth and so on.

10                  Like I said, we are obviously  
11 hoping for more. We may ask for a couple  
12 other details. We got a lot of detail on  
13 three of the sites and less detail on other  
14 sites and so that may or may not be an issue.

15                  The DoD picked the sites they  
16 thought were the most useful to the wireless  
17 industry and so forth and so that's under  
18 work.

19                  One of the things that - one of  
20 the comments that I got on the charts was in  
21 the last bullet. One of the things that I  
22 think industry would like to do, and it kind

1 of goes along with this whole issue of the  
2 NDAs and direct dialogue, was this idea of a  
3 direct interaction between the engineers on  
4 both sides of the parties like that.

5 And one of the cautions we got  
6 back from DoD on Monday morning was that hey,  
7 listen, that sounds great but somebody's got  
8 to pay for all that. So if you want to talk  
9 to a DoD guy, you know, you got to put money  
10 in the meter somehow.

11 So that was one of the comments  
12 that we got and I guess - I guess that's  
13 somewhat legitimately but that was one of the  
14 comments on the slide that they cautioned us  
15 on that whole idea of direct interaction.  
16 Somebody will have to pay for the DoD's time  
17 to actually make that - mechanize that.

18 Electronic warfare, basically,  
19 we're done. The text has been agreed and it  
20 doesn't say much but that part of - that part  
21 of the effort is done.

22 Like I said, there's a drafting

1 group that's going to start meeting on  
2 Thursday and I won't be there, unfortunately,  
3 because I'll be at the national championships  
4 for track and field with my daughter. So I'll  
5 try to dial in maybe.

6           There are a couple things that -  
7 so I'm going to give you a couple observations  
8 about where I think we're at overall from sort  
9 of a CSMAC perspective and my observations  
10 haven't changed from the last meeting, you  
11 know, where I made my comments.

12           But, essentially, I think where we  
13 are is that the DoD has - is willing to share  
14 this band on a noninterference basis with  
15 commercial wireless as long as they have some  
16 mechanism to make sure they don't interfere  
17 with the satellite receivers.

18           And they will provide some  
19 information although there's a lot of caveats  
20 with the information that you would give to  
21 this party who's going to share on a  
22 noninterference basis, okay.



1                   And so there's one - and there's  
2                   sort of a continuing theme in the briefings  
3                   and stuff, and I'll just read one of the  
4                   bullets on this last slide and this sort of  
5                   sums up, I think, one of the difficulties that  
6                   we're going to have as we - if we can kind of  
7                   construct a regulatory framework or something  
8                   that would go in the notice of proposed  
9                   rulemaking or the auction rules or something  
10                  like that.

11                  But regulatory provisions should  
12                  allow for potential changes in government  
13                  mission requirements including the possibility  
14                  of greater satellite contact times, higher  
15                  power levels at existing sites in addition to  
16                  new sites.

17                  And so what that says is you can  
18                  share on a noninterference basis but we have  
19                  the right to change anything on our side of  
20                  that equation when we want to.

21                  So that's going to present a lot,  
22                  I think, difficulties in terms of how you

1 would set up a sharing arrangement if one side  
2 can change.

3 The other one has to do more with  
4 the satellite thing. I think the industry has  
5 some ideas. They're less worried about but on  
6 the satellite - interference with satellite  
7 receivers they believe they can handle that.

8 The question will be what kind of  
9 - you know, I've talked to Charlie and Charlie  
10 has one of the - what the FCC used is sort of  
11 for that trigger and then how - what would the  
12 process be in case you did see some kind of  
13 issue that you were somehow bumping up against  
14 the minus 205 DBW for hertz. So that will be,  
15 I think, the other challenge. But anyway, I  
16 think we sort of demonstrated it's possible to  
17 share the band in some way and there will be  
18 some areas where you might have some issues  
19 but those might be workable.

20 But how you construct all that in  
21 terms of an auction when one side can sort of  
22 change the rules after the fact so it's going

1 to be a difficult problem.

2 Charlie, are you still on the line  
3 or are you picking up your grandson yet or -  
4 yeah, I think Charlie had to drop off. Any  
5 comments or questions from the floor?

6 CO-CHAIR ROSSTON: Anyone else  
7 have comments or questions? I had a question.  
8 So you mentioned that you got information on  
9 three sites.

10 MEMBER REASER: We had detailed  
11 information on three sites and less  
12 information on the other ones. There's  
13 probably - if you look at the list, there's  
14 probably 25 sites or so on their list.

15 They updated the list - they  
16 actually in the second update, they added a  
17 bunch of sites that weren't on the original  
18 list and they're - I don't want to - they're  
19 lesser sites but there are other sites that  
20 were not in the original disclosure that we  
21 got back in October and that came out in April  
22 to give some additional sites.

1           But we didn't get, you know, the  
2 same level of information. And what - I think  
3 what the carriers would like to have is  
4 something that says, you know, by sector what  
5 frequencies, how often do you use them, period  
6 of time, some statistical data so they can  
7 make some assessments and then at that point  
8 they would take a look at tower siting and so  
9 forth, you know, using that as a guide.

10           At the end of the day, though,  
11 most carriers are probably going to take  
12 measurements, figure out where it is and where  
13 the best coverage is and lots of other things.  
14 So some of this kind of becomes interesting to  
15 a point.

16           In fact, it's been suggested the  
17 only way they're really going to be served is  
18 to run measurements like put something up and  
19 see what's really going on.

20           Although it would have been nice  
21 to have some statistical data that says, you  
22 know, by frequency band and by sector of the -

1       where the antenna points in time, you know,  
2       how often they usually point in this  
3       direction.

4                   Because if you have - if you have  
5       one station that's always using the same  
6       frequencies in this particular 25-inch or 25  
7       degree radial, you know, 24/7 you may not want  
8       to put a cell tower real close to that or wipe  
9       that off the list.

10                   But we didn't get a lot - we  
11       didn't get that kind of data for every site so  
12       -

13                   CO-CHAIR ROSSTON: Do you expect  
14       to get more data on this?

15                   MEMBER REASER: I think they might  
16       ask for it but at this point I think that - I  
17       think people are happy to know that DoD's  
18       willing to share on a noninterference basis  
19       because that seems to be - I mean, that was a  
20       - and to some people that was a major  
21       milestone on this because that's certainly the  
22       implication that we got out of this.

1 CO-CHAIR ROSSTON: Because to me  
2 it seems like it's kind of important to know  
3 about all the other sites as well.

4 MEMBER REASER: The DoD said  
5 they're done releasing data so, you know,  
6 we'll ask and so we're - it's not me. I mean,  
7 I'm just the liaison.

8 CO-CHAIR ROSSTON: I know. Mark?  
9 Dennis - I'm sorry.

10 MEMBER ROBERSON: Okay. To what  
11 degree is -

12 CO-CHAIR ROSSTON: Say your name.

13 MEMBER ROBERSON: Yes, this is  
14 Dennis Roberson. To what degree if any did  
15 the prior discussion bear on this where we now  
16 would have the trusted agents or the  
17 individuals with additional information  
18 available to them? Would that be a part of  
19 providing some of the missing information or  
20 is that a different scope?

21 I'm a little unsure and I've not  
22 participated in your working group so I don't

1 really know where that sits.

2 MEMBER REASER: This is Rick  
3 Reaser. It could. The - I think at this  
4 point though people were just - in some ways  
5 are just trying to get a general feel.

6 Obviously, my - since I ran these  
7 studies for several years when I was in the  
8 department, my thirst for data is probably a  
9 lot more than most people so I always have  
10 higher expectations about things.

11 I guess the real issue is that,  
12 you know, data is classified. I think those  
13 things will be worked out.

14 Eighty percent of all classified  
15 data is held at contractors like mine,  
16 Raytheon. We have more clearances than any by  
17 a factor of three or four from the government  
18 people.

19 I think that we could certainly  
20 protect the data if it was given. We have the  
21 mechanism to do that.

22 Otherwise, the DSS would pull our

1 facility clearances, which my inspection is  
2 going on at home right now.

3 So we certainly can protect it and  
4 that would certainly, I think, help in some  
5 respects to have that share.

6 But when push comes to shove  
7 though and I'm not a carrier - I'm a spectrum  
8 guy - but, you know, the carriers are probably  
9 going to want to site these terminals using a  
10 lot of other criteria like where are existing  
11 towers is one because real estate is an issue.

12 And so they're going to - they're  
13 going to have a whole set of other criteria  
14 that they may not want to necessarily disclose  
15 to DoD. Right, Tom? I mean, and what their  
16 build-out plan is going to be.

17 So there's the other issue. So at  
18 the end of the day, this data would be useful  
19 I think but it remains - a lot of carriers  
20 talked about what they would really do in  
21 terms of tower of site.

22 MEMBER SUGRUE: Well, we'll show



1 you ours if they show you -- We could  
2 actually in the measurement process - you  
3 know, we've done this exercise - gather some  
4 data on this and we've been hung up in sharing  
5 it a little.

6 I hope that - I think the trusted  
7 agent process is designed to facilitate some  
8 of that sharing. Is that right?

9 Is that right, Steve? Hopefully.  
10 So we'll have something additional just  
11 recently done to add to the mix.

12 CO-CHAIR ROSSTON: Are there other  
13 questions? Any members on the phone, anyone  
14 want to ask a question? Okay. Great. Thank  
15 you, Rick. Sorry. Kevin?

16 MEMBER KAHN: Well, I just wonder  
17 what - I mean, one of the things I've kind of  
18 seen go by, you know, in watching some of the  
19 Working Group Five work and I wonder if it  
20 reflects on this as well, is that some of the  
21 data that seems to be protected, I guess, and  
22 I'm not by any means, you know, familiar with

1 the internals of how DoD has to protect  
2 information so I don't want to make light of  
3 it.

4 But, you know, for data that is  
5 readily accessible by anybody who wants to  
6 kind of wander around outside the satellite  
7 facility with a measurement device and in  
8 fact, readily able to get full statistical  
9 information of the sort you want, it does  
10 strike me as a little bit make-worky to force  
11 the carriers to essentially go do that  
12 exercise themselves, which they are completely  
13 capable of doing if they, you know, and I  
14 would expect to the extent that it's an issue  
15 for them when they go to bid on some of that  
16 spectrum in doing their diligence ahead of a  
17 bid that's probably what they would actually  
18 do.

19 So in fact we have a situation  
20 where there's data that is a completely  
21 external perspective public. I mean, it's  
22 public in the sense that I can put an antenna

1 up and I can get it.

2 But we're kind of going to require  
3 industry to do a lot of work to get that data  
4 when in fact the data could be made available.

5 And as to the issue of - I mean, I  
6 understand wanting to protect information, you  
7 know, that couldn't be readily captured that  
8 way.

9 But if in fact it is data that is  
10 sort of, you know, radiation intensity density  
11 information that is directly measurable I just  
12 wonder about the level of, you know, a hand  
13 shake here.

14 It seems like we're creating a  
15 make-work situation for carriers for no  
16 particular reason, when you get down to it.

17 MEMBER REASER: This is Rick. Let  
18 me - here's my perception of that. Since the  
19 model is one of a noninterference basis the  
20 entire onus is always on the person operating  
21 on a noninterference basis to begin with.

22 So that could be one and I'd like

1 maybe you to respond. But that could be one  
2 thing. That would certainly be my attitude if  
3 I was in - I mean, if I - it's up to your job  
4 to figure it out.

5 And the other issue to get into is  
6 if the person who's the owner of the band or  
7 the incumbent if they reserve the right to  
8 change their characteristics at any time and  
9 in anyway then what value is the statistical  
10 data that they gave you in the first place?

11 And so that's the other thing. So  
12 while it may seem like a lot of work and I  
13 will say somewhat logical from what the model  
14 is we're talking about - an NIB that's subject  
15 to change.

16 CO-CHAIR ROSSTON: Great. Thank  
17 you. Thank you, Rick for that. Let's move on  
18 to Working Group Four. Mark?

19 MEMBER GIBSON: Okay. Thanks,  
20 Greg. Well, like Greg I'd like to kind of say  
21 that - or Rick, you know, we're getting ours  
22 in under the wire. In fact, you have the hot

1 off the presses in front of you. I'll start  
2 off by apologizing for that.

3 You know, a lot of people have  
4 been hard at work trying to get this resolved.  
5 What we tried to do was to give you a brief  
6 that's actually been finalized.

7 At least we have agreement in  
8 principle from DoD and industry.  
9 Consequently, it's a kind of ugly looking  
10 brief so I'll take the heat for that.

11 I didn't really have time to  
12 smooth it out so you may see a little bit of  
13 redundancy in some of the bullet points.

14 Nonetheless, I really would like  
15 to thank the work done on both sides, industry  
16 and DoD. It took a heavy lift to get to where  
17 we are and I think, you know, for all intents  
18 and purposes we're in a good place.

19 However, at the very end I have a  
20 status update. Disregard all those dates.  
21 Those were made two weeks ago when I thought  
22 we had more time. So I apologize for that.

1                   So on slide two what we did is -  
2                   I'm not going to go through the whole thing.  
3                   I'm just going to go through the  
4                   recommendations and to the extent we need to  
5                   go back to the background I'll be happy to  
6                   talk about that.

7                   Given the microwaves systems and,  
8                   again, we had three equities we were looking  
9                   at - point to point microwave, tactical radio  
10                  relay and joint tactical radio systems or  
11                  software defined radios.

12                  And so we start with the easy one,  
13                  which was the point to point microwave. So  
14                  the first recommendation is relocate them for  
15                  the NTIA report which says they can go.

16                  But we added a little fluff to  
17                  this to say prioritize these based on  
18                  commercial system deployment.

19                  In other words, you know, if  
20                  you've got something in a downtown area that  
21                  could be relocated and give maximum benefit to  
22                  a carrier as opposed to something on the top

1 of a mountain somewhere in the middle of  
2 nowhere, prioritize it based on where the  
3 carriers are located to the extent feasible.

4 And then also concentrate if  
5 possible on the lower portion of the spectrum.  
6 And then finally, at least on the microwave,  
7 the transitional sharing approach that was  
8 used in AWS One was really crafted primarily  
9 for microwave systems so there's no reason we  
10 can't use it here as well, and the only thing  
11 is we just need to codify that, I think, for  
12 this.

13 Going to the next page, which is  
14 the recommendations for the TRRs, again, the  
15 first - the first bullet is to go ahead and  
16 relocate them for the NTIA report.

17 I would add also one of the  
18 reasons we've been kind of doing heavy lifting  
19 on this is - and as good information we got  
20 some updated information from DoD on the  
21 relocatability of some of these systems that  
22 we really didn't have or at least a little

1 more granular information.

2 That was valuable information but  
3 it came late in the game and it took a fair  
4 amount of effort to, you know, untangle some  
5 of what it meant and put it in terms of  
6 recommendations.

7 And so that's why some of this  
8 might seem a little bit self-evident and may  
9 not make any sense, which is why I'm here to  
10 give you some detail on it.

11 Anyhow, for the first bullet, you  
12 know, we say relocate the systems that can  
13 relocate based on the time frames in the  
14 report. If you look on slides 10 and 11 where  
15 there's a little bit of background that  
16 explains where they can go.

17 There's a combination -  
18 compressing and relocating. So the  
19 recommendations do that consistent with what's  
20 in the rest of the recommendations.

21 Again, industry wanted to know if  
22 it would be possible to prioritize these



1 systems so their recommendation is to  
2 prioritize them similar to the way we do or  
3 suggesting we do it for microwave systems and  
4 that is try to relocate them out of the lower  
5 portions of the spectrum.

6 First, if possible, to make the 25  
7 megs available and also, again, and consider  
8 the areas where industry has high-value market  
9 areas they're interested in and focus on those  
10 first but also consistent with DoD's ability  
11 to do that.

12 So it's sort of a push me/pull you  
13 kind of thing. And so that's for the  
14 relocation, you know. Then there's the  
15 sharing part of it that we concentrated on.

16 And so the third bullet on that  
17 page, three, talks about, you know, the  
18 sharing aspect and that's to establish  
19 protection zones around all the areas of high  
20 priority for the TRRs.

21 Now, we got a second set of TRRs  
22 added from the data that we got a little late

1 in the process and so that's that column you  
2 see on the left, the Army TRRs that are there.

3 And so the Army, combined with the  
4 Navy and Marine Corps, I think, comprises a  
5 total of 13 locations and so these are areas  
6 where we want to establish protection zones.

7 But I want to refer back to the -  
8 or ahead to the recommendations for future  
9 work because that's going to describe a little  
10 bit about, you know, how we're going to do  
11 those protection zones in the recommendations.

12 So if we'll turn to slide four,  
13 the idea behind the bullet you'll see at the  
14 top of slide four and the bullet you see at  
15 the bottom of slide three you might be going  
16 duh, and when I first looked at this I  
17 thought, duh.

18 And the reason we have this is  
19 what we want to do is we want to ensure that  
20 we perform protection zone analyses on all  
21 sites that - for which that are there.

22 There was a fair amount of back

1 and forth between industry and DoD on this  
2 discussion because I think that not  
3 considering the statewide locations there's  
4 over a hundred locations where there's  
5 tactical radio relay systems and DoD didn't  
6 want to take any more out of hide to do a  
7 protection zone analysis.

8 And so there's a bit of question  
9 as to if we do more protection zone analysis  
10 where does that come from. That's a, how  
11 shall I say, a topic to be deferred later.

12 However, we do believe that as a  
13 recommendation protection zone analyses should  
14 be performed on the remaining locations where  
15 they haven't been done and by the way we only  
16 were able to get four locations done for the  
17 TRRs and that's in the background.

18 So the idea behind this and there  
19 was a lot of back and forth on this but what  
20 the recommendation says is go ahead and  
21 perform the remaining analyses of protection  
22 zones on the areas as necessary, and as

1 necessary has a lot packed into it but  
2 basically it means that if there are  
3 situations which they went after auction the  
4 TRR can tune out and they go ahead and tune  
5 out there's really no reason to do protection  
6 zone analysis.

7 And so that's kind of what that  
8 says and that's why we separated the bullets  
9 to kind of amplify that point.

10 MEMBER POVELITES: Mark, just a  
11 question on this - Carl Povelites. What is  
12 your definition of protection zone? It's not  
13 an exclusion zone, it's more in line of what  
14 came out of Working Group One?

15 MEMBER GIBSON: And Five. Well,  
16 no - One. Yes, we had some issue with  
17 taxonomy but in this context the understanding  
18 is protection zone is an area within which if  
19 deployment is desired there is some additional  
20 interaction that's required and we talk a  
21 little bit about that in some of the future  
22 work and recommendations.

1 Any other questions before I move  
2 on? Yes.

3 MEMBER DONOVAN: Dave Donovan. In  
4 terms of the protection zones, however they  
5 are defined, they appear to be fairly large.

6 MEMBER GIBSON: Right.

7 MEMBER DONOVAN: Is it safe to  
8 say? And so when we get to the issue of where  
9 they're relocated I assume the protection  
10 zones for incumbents on those bands would have  
11 a similar issue or would you be able to share  
12 or did you study with that? Did you study  
13 that?

14 MEMBER GIBSON: Well, they're -  
15 yes, they're relocated, you know, and there's  
16 a difference here. Again, in taxonomy there's  
17 the term compression and relocation and in the  
18 context of just this working group the term  
19 compression really implies that they're  
20 relocating in the upper portion, the 1780 to  
21 1850 meg band, and relocation means that we're  
22 moving out.

1                   So but in any situation where TRR  
2                   relocates out of the lower portion, we don't  
3                   need to do any more analysis.

4                   That's gone, and based on what Tom  
5                   said a little bit earlier it's probably not  
6                   necessary to do a protection zone analysis if  
7                   it's in the upper portion.

8                   But, you know, we can talk about  
9                   that. Does that answer your question, Dave?

10                   MEMBER DONOVAN: Yes. I think I  
11                   was just trying to - just going through the  
12                   slide. It may be out of place here but  
13                   essentially in terms of relocation I think one  
14                   of the background statements on slide 11  
15                   requires 2025 to 2110 megahertz and are you  
16                   looking at that band for relocation of these  
17                   systems?

18                   MEMBER GIBSON: We are not.  
19                   That's sort of out of the scope of the - of  
20                   what we're doing.

21                   MEMBER DONOVAN: Okay.

22                   MEMBER GIBSON: It's to identify

1 spectrum for relocation. That's out of the  
2 NTIA report and so -

3 MEMBER DONOVAN: Okay.

4 MEMBER GIBSON: - presumably as  
5 part of the transition planning - and I don't  
6 want to take that thunder but I think that's  
7 part of when that - when that will happen is  
8 the identification of spectrum. And, in fact,  
9 and that's where we make a recommendation.  
10 Thank you.

11 You're leading into my next point,  
12 which is develop transition plans that address  
13 relocation of assignments, compression and the  
14 comparable spectrum. So that's the next - the  
15 second bullet on Page 4

16 MEMBER DONOVAN: Okay. So you're  
17 not recommending that these be moved to that  
18 particular band?

19 MEMBER GIBSON: No, we're not.

20 MEMBER DONOVAN: All right. Thank  
21 you.

22 MEMBER GIBSON: We're just

1 recommending that they be moved consistent  
2 with the NT - or the DoD's ability to do so  
3 consistent with the industry's desire to move  
4 specific ones. Does that make sense? Because  
5 it didn't make sense to me.

6 MEMBER DONOVAN: Yes, I was just  
7 trying to figure out because, you know, the  
8 interference analysis that's done here -

9 MEMBER GIBSON: Yes.

10 MEMBER DONOVAN: - obviously, may  
11 or may not. I mean, we just don't know it'd  
12 be applicable to any incumbents that would be  
13 in that particular band.

14 MEMBER GIBSON: Yes.

15 MEMBER DONOVAN: And the zones are  
16 so large -

17 MEMBER GIBSON: Yes.

18 MEMBER DONOVAN: - that it could  
19 have some significant effect of folks in those  
20 bands.

21 MEMBER GIBSON: Well, bear with me  
22 as we go through this. We have



1 recommendations as to try to make those zones  
2 smaller.

3 MEMBER DONOVAN: Okay.

4 MEMBER GIBSON: That's kind of  
5 some of the recommended future work and you'll  
6 see that consistent, I think, with five.

7 MEMBER DONOVAN: All right. Thank  
8 you.

9 MEMBER GIBSON: Thank you. So  
10 back on slide four I think we're on the third  
11 bullet. Again, transitional sharing approach  
12 - the idea behind the transitional sharing  
13 approach is in situations where a system can  
14 relocate but it can't relocate consistent with  
15 the time frame for early entry by carrier, we  
16 end up with this situation called transitional  
17 sharing.

18 So the idea behind this bullet is  
19 to, you know, sort of moralize that or codify  
20 - codify is a strong word but make it official  
21 in terms of a process.

22 And so this bullet literally says

1 that for deployment in a sharing - in a  
2 protection zone then we need some sort of a  
3 process to do so.

4 Now, that'll probably be similar  
5 whether it's a protection zone that's going to  
6 stay for all time or a protection zone for a  
7 system that's relocating. But that's kind of  
8 a detail we really haven't gotten into.

9 Bottom line is we need to develop  
10 an approach for sharing and we have some  
11 discussion about what that might look like in  
12 the recommended future work. Any more  
13 questions on that?

14 Okay. We're on slide five. Slide  
15 five, the first bullet, again, may seem like  
16 it's self-evident but DoD was adamant that  
17 they wanted to make sure that their - sharing  
18 is allowed in situations where there's no  
19 commercial interest.

20 And so there was some back and  
21 forth and, again, this is sort of an ugly  
22 outcome of that back and forth but the bottom

1 line is that DoD wants the ability to continue  
2 operations in areas where there is no interest  
3 whatsoever.

4 Industry's concern was that well,  
5 we don't know what no interest means and so  
6 what we tried to do is sort of bound that by  
7 saying, you know, based upon auction outcomes.

8 This is going to need a little  
9 more work within the working group. This is  
10 really something we came to this morning.

11 But both sides - they probably  
12 were weary from the discussions and so but DoD  
13 and industry were sort of comfortable with  
14 this statement. But, again, we need to work  
15 a little bit more as to what it means.

16 And then, finally, you know, we  
17 want to develop a testing program to ensure  
18 that, you know, as we do have relocation and  
19 moving in - deployment into sharing zones that  
20 we have a mechanism to identify whether the  
21 interference methodologies are appropriate.  
22 At least, that's what this one says.

1                   MEMBER ROBERSON: Mark, just real  
2 quick. In the first bullet when you talk  
3 about sharing the entire band in areas where  
4 there's no commercial, who are you sharing  
5 with?

6                   MEMBER GIBSON: It'd be sharing  
7 with the DoD. So it'd be sharing the band  
8 where the TRR systems are still located.

9                   So, for example, if there's a TRR  
10 system that is not one of the 13 that's on one  
11 of the previous pages but there's no interest  
12 and they have no way to know - where they've  
13 had no desire to relocate or compress then  
14 there's no reason they can't stay put.

15                  MEMBER ROBERSON: So they'll stay  
16 put and share with other DoD utilizations?

17                  MEMBER GIBSON: Well, that's the  
18 term is what does sharing mean if there's no  
19 interest in sharing. And so that's why it  
20 needs a little work.

21                  Now, frankly, if there's no need  
22 to deploy there's no sharing. So it's -

1                   MEMBER ROBERSON: And that's what  
2 it sounded like as you described it but -

3                   MEMBER GIBSON: - a metaphysical  
4 question but -

5                   CO-CHAIR ROSSTON: Basically,  
6 continued federal access.

7                   MEMBER GIBSON: Continued federal  
8 operations, yes.

9                   MEMBER ROBERSON: Yes, rather than  
10 share it -

11                   MEMBER GIBSON: Yes.

12                   MEMBER ROBERSON: - because you're  
13 not -

14                   MEMBER GIBSON: I hear what you're  
15 saying, Dennis. Trying to strike the word  
16 share was difficult so, you know, now that  
17 this is memorialized you can go back to the  
18 working group and say, you know, share doesn't  
19 really mean anything if there's nothing to  
20 share with. But like I said, it's a  
21 metaphysical thing.

22                   MEMBER BORTH: Mark, I'm just

1       trying to think about procedurally how that  
2       would work.  At some point, NTIA would  
3       transfer spectrum from federal use from the  
4       TIA jurisdiction -

5                   MEMBER GIBSON:  Right.

6                   MEMBER BORTH:  - to the FCC.  And  
7       initially there would be some that would be or  
8       continued sharing or some special areas for  
9       protection zones.  But then outside of that  
10      presumably it's just all transferred over to  
11      the FCC.

12                  But I don't know how you transfer  
13      it conditional on an -

14                  MEMBER GIBSON:  I know.  I warn  
15      you, I don't know how that works.

16                  MEMBER BORTH:  Don't warn me.  
17      Warn them.

18                  MEMBER GIBSON:  But I hear what  
19      you're saying because once it's in the FCC  
20      jurisdiction -

21                  MEMBER BORTH:  Yes, I know.

22                  MEMBER GIBSON:  - it's there.

1 Well, that's like it's - that's why it's a  
2 topic for future study, I can say. Go ahead.

3 MEMBER WARREN: So Jennifer  
4 Warren. Well, as you think about it, unless  
5 an auction raises the 110 percent of the  
6 revenues necessary to compensate for the  
7 relocation costs, it's not a foregone  
8 conclusion that it remains FCC, right?

9 MEMBER GIBSON: But then the FCC  
10 would have to transfer it back to NTIA. It's  
11 either fish or fowl. That's all.

12 MEMBER WARREN: Yes, I'm not sure,  
13 and then Brian?

14 MEMBER TRAMONT: I was just saying  
15 you could potentially - this is Bryan Tramont  
16 - you could also potentially make them  
17 secondary, right?

18 In the places where there's no  
19 commercial operations, they would therefore  
20 have a right. In the absence of other  
21 operations they'd be fine. So there would be  
22 other ways to get there, potentially.

1                   And I don't know how you declare  
2                   where there are areas where there's no  
3                   commercial interest either. That's a separate  
4                   problem.

5                   But it feels like there could be -  
6                   there should be ways to have it.

7                   MEMBER GIBSON: There's lots of  
8                   precedence where the commission puts licenses  
9                   out for various forms of being claimed.

10                  They are claimed and then  
11                  subsequently there's an auction and then if  
12                  they still aren't claimed - there's no finite  
13                  point in time where the FCC says if we don't -  
14                  if we don't assign a license at this point in  
15                  time we will never assign a license. That  
16                  isn't how the FCC looks at things.

17                  MEMBER TRAMONT: Yes.

18                  MEMBER WARREN: We work very well.  
19                  Again, Jennifer Warren. I do think, though,  
20                  that under the CSEA when you have federal  
21                  spectrum involved and relocation if there's a  
22                  difference - a different framework than



1 perhaps what is not the case in other - in  
2 other bands that I think could impact this.  
3 So I would raise that.

4 MEMBER GIBSON: And I was going to  
5 say with the protection zones presumably are  
6 cases where the federal users would remain  
7 primary and then for the places where there's  
8 no federal interest they'd be secondary. It  
9 wouldn't prevent the licenses from being sold  
10 at auction.

11 There would just be a primary  
12 commercial user and a secondary federal user  
13 who presumably could talk to the - whoever the  
14 owner is of the spectrum on the commercial  
15 side and make them aware of their existence  
16 and perhaps work out a deal to make it not be  
17 a problem. So I think there's paths there.

18 MEMBER TRAMONT: Yes, and thank  
19 you. I've written them down.

20 MEMBER GIBSON: So yes, and I  
21 appreciate the feedback.

22 Like I said, this is kind of ugly

1 right now and it hasn't been baked real well  
2 and I apologize for that.

3 It's just that this is one point  
4 that was a bit of a sticking point within the  
5 group and I think we need to dig into it a  
6 little more and figure out what it means and  
7 how to move forward with it.

8 So I appreciate the feedback. Any  
9 other questions on this one? Okay. And oh,  
10 Harold, sorry. I mean, Dale.

11 MEMBER HATFIELD: In the TAC I've  
12 been thinking a lot about the enforcement  
13 issue and sort of pushing the notion that  
14 enforcement kind of has to be designed in at  
15 the get-go and not wait until you do something  
16 and then try to figure out how to enforce it.

17 And this seems to - your second  
18 bullet seems to focus on sort of the  
19 transition but if you're thinking about sort  
20 of long ongoing sort of enforcement to make  
21 sure that the issues are identified, you know,  
22 propagation models turn out not to be valid

1 for a particular location, that sort of thing.

2 MEMBER GIBSON: Yes. I mean, it's  
3 - it could be long term. The idea was that we  
4 wanted some protections using real world  
5 measurement data in the event that we  
6 determined or that is not determined but it  
7 was determined that the interference  
8 protection criteria, for example, or the  
9 clutter values were misused or not used or  
10 didn't make sense.

11 MEMBER HATFIELD: But I'm talking  
12 about after you're all done. Then after the  
13 commercial operations are in place in some  
14 sort of a sharing mode then what the  
15 enforcement tools would look like.

16 What sort of cooperation there  
17 would - to follow up on the conversation what  
18 sort of cooperation would be needed between  
19 the FCC doing its thing and what DoD would be  
20 doing its thing in terms of protecting the -  
21 in protecting the environment.

22 MEMBER GIBSON: If you go back to

1 slide four, the very last bullet on the page,  
2 it's the third bullet - never mind.

3 It's the last bullet on the page,  
4 third bullet under the second bullet under the  
5 third bullet, it says that we'll establish a  
6 process to ensure that in the event  
7 interference can be sourced to commercial  
8 wireless operations that there's some effect.

9 You know, the wireless operators  
10 will modify the operations in the band or  
11 something will happen and so that's kind of  
12 the enforcement point that we wanted to put in  
13 there so -

14 MEMBER HATFIELD: It seems awful  
15 general.

16 MEMBER GIBSON: It does. It does.  
17 You're right. Want to join the working group  
18 and we'll -

19 MEMBER HATFIELD: This I might be  
20 able or capable, I think. Some of the others  
21 are a little technical for me at this point.

22 MEMBER GIBSON: Okay. All right.

1 Thanks. I think that's it for the  
2 recommendations for TRRs. Now we're on slide  
3 six. The recommendations for JTRS are very  
4 similar so I won't dwell on them too long.

5 The difference between TRRs and  
6 JTRS were and in the NTIA report there's very  
7 little information about the JTRS ability to  
8 relocate.

9 In fact, there's nothing. And so  
10 what happened was DoD came back with some  
11 information about JTRS' ability to compress  
12 which was helpful because it at least made the  
13 discussion a little bit more about  
14 transitional sharing. It was about long-term  
15 sharing.

16 Nonetheless, there were some areas  
17 that DoD wanted to maintain operations and so  
18 that's this first bullet. It said, you know,  
19 establish the protection zones around the  
20 areas that are going to maintain operations  
21 and hence these six areas here.

22 For the other locations, the

1 second bullet now, for the other locations  
2 compress as possible or as indicated in the  
3 update. The update will be provided in the  
4 rest of the report.

5 But, again, the time frames to  
6 compress need to be consistent or should be  
7 consistent with commercial deployment and the  
8 actual system tuning should be conditioned  
9 upon a request from industry.

10 Apparently these things can tune  
11 pretty quickly so we envisioned a process and  
12 though that's not in here we envisioned a  
13 process that would be similar perhaps to the  
14 frequency coordination where there is a  
15 request for entrance into a zone and an entity  
16 says we can tune and there's no more  
17 interference or something like that.

18 So that's kind of what that means  
19 and we'll have to work a little bit more on  
20 fleshing that out in the report.

21 And finally, the last bullet on  
22 that page is, again, similar to the one we had

1 on the other page was to perform the  
2 protection zones analyses around the rest of  
3 the areas as feasible and, again, the  
4 situation we have now is there was analysis  
5 done but the idea behind this and the TRRs is  
6 to use the recommended future work to refine  
7 the process and you'll see that in a moment.

8 Slide seven - the same thing we  
9 just talked about so I won't dig into it.  
10 We'll revisit the notion of sharing when  
11 there's no sharing but, you know, I understand  
12 the intent of the sharing when there is no  
13 sharing.

14 And they also - again, the second  
15 bullet here is, again, similar to the TRR, the  
16 transitional approach to permit deployment in  
17 protection zones.

18 Now, you might say what does that  
19 mean in the context of these things being able  
20 to compress.

21 We're not sure of the operational  
22 issues and there may be operational situations

1 where these things can't compress right away.

2 So there will need to be some  
3 measure of transitional sharing and so that's  
4 what this second bullet says and there are  
5 some protections on what that means including  
6 an enforcement protection that Dale is going  
7 to help us with.

8 And then finally, again, the same  
9 thing we had is with TRRs, that the testing  
10 program to demonstrate the viability and  
11 effectiveness of the interference criteria.

12 Now we're on the last slide, slide  
13 eight - the recommendations on future work.  
14 You'll see this first bullet and it's a little  
15 - we're having - we had some struggle with  
16 this, this notion in the context of a national  
17 effort.

18 To explore protections on analyses  
19 and methods, basically to refine the analysis  
20 methodologies in terms of protection criteria,  
21 the use of clutter, the use of off-axis as  
22 opposed to main beam antenna gain and the time



1 component of operation.

2 This is the one area where there  
3 was a lot of discussion. A lot of it's  
4 semantics but a lot of it really detailed.  
5 And where we ended up was DoD wanted to make  
6 sure that whatever is done here gets  
7 nationalized.

8 But the idea is that, you know,  
9 this is - these are equities that operate in  
10 areas where there may be other equities and so  
11 they don't want to focus this type of an  
12 effort on just TRR, JTRS or - well, TRRs and  
13 JTRS.

14 So that's what this means. You'll  
15 see it and I think it was either in Rick's  
16 deck or the deck first working group - Tom's  
17 deck.

18 MEMBER KAHN: Yes, this is the  
19 same issue we saw in the working group quite  
20 a bit.

21 MEMBER GIBSON: Yes. So that's  
22 what this is all about, to just to know what

1 that means. The other issue was the concept  
2 of study the following.

3 The idea here and this is part of  
4 what's being - what had been discussed and I  
5 think it's still being discussed in the  
6 technical working group which was formed out  
7 of 5 but which actually had an overlap into 4  
8 as it relates to some of these things is that  
9 some of this stuff is ongoing.

10 And, in fact, we're still working  
11 on determining the impacts of clutter and how  
12 to apply that in the modeling. Also, the  
13 protection criteria and how to use the  
14 protection criteria that might be a little bit  
15 different than I over N.

16 And then these antenna effects -  
17 you know, for these equities you're talking  
18 about directional antennas and so is there a  
19 way to do an analysis where you can take  
20 advantage of the antenna pointing so you have  
21 some off-axis discrimination.

22 So there's a lot of work that

1 needs to be done to study this. Some of it's  
2 being done on the TAC - not the TAC, the  
3 technical working group, not the TAC. Strike  
4 that.

5 In the technical working group but  
6 we're still, we're kind of - we're moving  
7 slowly in the technical working group and  
8 we're hopeful that some of that work will be  
9 overlaid into this.

10 The second bullet - the  
11 recommended future work is as you'll see in  
12 the background we only ran four sites for the  
13 TRRs out of a hundred and three sites out of  
14 28 for JTRS.

15 And in order to really be able to  
16 know what a carrier is facing at auction they  
17 need to know what the size - what these  
18 protection zones look like.

19 So the idea behind this bullet is  
20 we really should go back and run not just the  
21 ones that need long-term access but the ones  
22 that need - don't need long-term access but

1 use the parameters that we talked about here  
2 in the first bullet.

3 So basically go back and rerun the  
4 protection zones with the - with whatever  
5 criteria comes out of this first bullet  
6 discussion.

7 And finally, which seemed to have  
8 been addressed earlier in the meeting, the  
9 process to share data, and again, this works  
10 across all working groups.

11 But, you know, like I said the  
12 issue we had with JTRS was they are FOUO and  
13 it was difficult to get any information on  
14 them.

15 And to the extent we could have  
16 gotten some of the information consistent, for  
17 example, like we had with TRRS, the smart  
18 people within the group might have been able  
19 to find additional methods for sharing and  
20 that might have been workable.

21 So but, you know, that bullet's  
22 been dealt with, I think, in the discussion we

1 had earlier so we may not even need to have it  
2 going forward.

3 And finally, and you don't see it  
4 on this, what we have - what we got as a way  
5 of update was there are statewide assignments  
6 for TRRs and in the original data we got there  
7 were two states.

8 In the updated data there are ten  
9 states - actually, now a total of 12 and a  
10 total of 38 plus five is 43 locations within  
11 states that have TRR assignments for National  
12 Guard.

13 So we've got to figure out how to  
14 make those work and that was just something  
15 that, you know, like I said it's ugly and I  
16 didn't get it in time. So that's the bulk of  
17 the presentation. So any other questions?

18 CO-CHAIR ROSSTON: Questions?  
19 Thank you very much for that. Thank you.

20 Okay. I think we're going to move  
21 on to Working Group Five and Jennifer and  
22 Bryan.

1                   MEMBER WARREN: We'll just see. I  
2                   feel challenged there. So we'll be presenting  
3                   on Working Group Five which I think is the  
4                   most complex group at least in terms of scope.

5                   Maybe not in participation but in  
6                   terms of scope, and so because of the number  
7                   of airborne systems that we looked at, as you  
8                   all may remember from prior briefs we had to  
9                   divide up into four sub-working groups to deal  
10                  with each of the segments of systems.

11                  And I'd like to first thank Kevin  
12                  Kahn, Mark Gibson and Tom Dombrowsky because  
13                  while Bryan and I were the liaisons, this team  
14                  collectively worked to make sure that we had  
15                  coverage at least at most if not all of the  
16                  sub-working group meetings as opposed to just  
17                  going to one working group meeting.

18                  So I really want to appreciate  
19                  that and those that did double duty as well  
20                  because I know Tom was a liaison as Mark to  
21                  others.

22                  With that backdrop, what you have

1 before you is really a preview of what is to  
2 be the next step, which is a final report.  
3 This is based on the sub-working group's  
4 report to the full Working Group Five.

5           So we are still in the process of  
6 pulling together the overarching report. It  
7 is - we have a defined process within the  
8 Working Group Five that was agreed to and, you  
9 know, as with everything when you see it  
10 integrated in all there are further comments  
11 that come out that things need to be  
12 corrected, assumptions need to be further  
13 discussed. So we're in that process right  
14 now.

15           So we've been very specific about  
16 saying this is the draft report based on the  
17 current sub-working group's report's  
18 recommendations.

19           The sub-working groups took an  
20 approach based on an approach agreed at the  
21 full Working Group Five level which was to do  
22 an interference analysis in both directions,

1 the government to LTE and the LTE to the  
2 government systems, and then to as preliminary  
3 approach determine the separation distances  
4 that were necessary.

5 I have to say that in a couple of  
6 overarching comments that came out that - just  
7 to share from a maybe lessons learned is that  
8 where they saw greater progress was perhaps  
9 where they were in smaller sub-working groups  
10 and where they were really technical working  
11 groups.

12 That was some comments we got back  
13 through the sub-working group reports. And  
14 though this may be addressed by what Teri  
15 shared with us with the NDAs, an overarching  
16 constraint with going beyond where the sub-  
17 working group recommendations go was the, you  
18 know, inability to publicly release data yet  
19 in a way that was legally tenable for the  
20 department.

21 So with that backdrop, we wanted  
22 to just walk through where the different sub-



1 working groups are right now and then I can  
2 take questions. Bryan and I and the team can  
3 take questions on them if you don't mind  
4 approaching it that way.

5 So an overall conclusion that  
6 you'll see repeated, quite frankly, through  
7 the sub-working groups is that sharing is not  
8 feasible, again, based on the assumptions that  
9 go into the working groups, the sub-working  
10 groups.

11 So when we look at feasibility  
12 between AMT and LTE, there was an agreement  
13 basically because of the separation distances  
14 required that the top 100 markets would not be  
15 really viable for LTE deployment.

16 For example, protection distances  
17 for LTE from AMT airborne transmitters were  
18 going to be greater than 560 kilometers.

19 So I know that seems like a stark  
20 conclusion when I first said it but when you  
21 hear the distances I think you can appreciate  
22 why they are where they are. That's about the

1 only conclusion that's agreed in that group.

2 There are a lot of commercial  
3 wireless industry views versus government  
4 views but that was, I believe, agreed.

5 As I said before -

6 MEMBER POVELITES: Jennifer? Carl  
7 Povelites. I was encouraged in Working Group  
8 Four that they did look at the sub-bands 1755  
9 to 1780 with AMT and the others in Working  
10 Group Five. Is that conclusion based on the  
11 entire band or is it based on looking at any  
12 sub-band within that?

13 MEMBER WARREN: Well, for the sub-  
14 working group AMT it's on the whole band, as  
15 I recall. A different sub-working group  
16 looked at it in the sub part.

17 So if I can - you'll see each  
18 working group approached it differently -  
19 well, had different conclusions based on the  
20 type of the operations. Sorry.

21 CO-CHAIR ROSSTON: This was, I  
22 guess, the compression. There was no - AMT

1 can't be compressed, obviously?

2 MEMBER WARREN: That was not an  
3 option here.

4 CO-CHAIR ROSSTON: That wasn't?  
5 Okay.

6 MEMBER WARREN: It comes up in  
7 other sub-working groups as an option,  
8 compression.

9 CO-CHAIR ROSSTON: So it was not  
10 considered as an option or not an option?

11 MEMBER WARREN: It wasn't an  
12 option, I thought, based on the information  
13 provided for the technical mission and  
14 operations or training operations.

15 MEMBER POVELITES: Was relocation  
16 looked at?

17 MEMBER WARREN: Relocation was not  
18 an option that was looked at either there. Do  
19 you want to add to that, Tom?

20 MEMBER DOMBROWSKY: Yes. This is  
21 Tom Dombrowsky. All the stuff from each of  
22 these sub-working groups is very tentative at

1 this point would be my - the overarching  
2 feedback that we'll see when we get the full  
3 report is going to be - we really couldn't  
4 reach a lot of conclusions because there  
5 wasn't data sharing going on due to the legal  
6 and national security concerns.

7 So all this is very preliminary.  
8 I would say in general this was frequency  
9 agnostic type of activities. There was not  
10 really a look at segmenting the band or not  
11 segmenting the band in any of the working  
12 groups.

13 It was really okay, if you have  
14 AMT operating, you have LTE operating, what  
15 are the protection distance looking like and  
16 we couldn't get into sort of what kind of  
17 frequencies people were using, what kind of  
18 time they were using, things of that nature so  
19 the next level of analysis.

20 So I would say any of these right  
21 now are very tentative until you can actually  
22 do that next level of drill down for any of

1 these - any of these analyses.

2 MEMBER WARREN: Except I would say  
3 PGM or one of them did look at compression.  
4 I mean, we do have some inputs on compression,  
5 though I agree and that's what I was trying to  
6 say earlier was that this is based - unless  
7 the Working Group Five assumptions change,  
8 which will be based - which would be based on  
9 additional data, these were the conclusions  
10 that they have - their preliminary analysis  
11 has reached. Kevin?

12 MEMBER KAHN: Yes. One of the  
13 things I was a little disappointed in as this  
14 process went through was that it seemed to me  
15 that it would have been useful to distinguish  
16 between in the - particularly in the aerial,  
17 the airborne systems, between what I'd call  
18 training and telemetry systems that are in  
19 fact specifically U.S. territorially based,  
20 which - for which the analysis is, you know,  
21 there are systems that don't operate other  
22 places and so they're pretty unique in some -

1 in some regard at least from operational  
2 weapons-oriented type of systems.

3 I don't mean weapons specifically  
4 but systems that are deployable. You know,  
5 because for some of the conclusions in here at  
6 one level for the deployable systems, while I  
7 understand the worst case analysis that led to  
8 the conclusions, the conclusions are pretty  
9 silly, quite honestly, in the sense that these  
10 are bands that are in use elsewhere in the  
11 world with, you know, at least as much  
12 potential to create problems in both  
13 directions and they are presumably not or we  
14 have other problems.

15 And I just think it would have  
16 been - it may well be that because the U.S.  
17 telemetry-based systems in fact are a problem  
18 and cannot - you know, cannot share  
19 legitimately and are unique to the U.S.  
20 situation territorially that that's enough to  
21 reach conclusions across the board.

22 But there are other systems that

1 are in here like the small UAS that you'll  
2 come to in a moment and the others where these  
3 are systems that are known to have to deploy  
4 to other parts of the world and operate  
5 successfully in the presence of other activity  
6 in those bands and yet the same kind of  
7 conclusions are written here.

8 And the fact that we did not -  
9 were not able to come to a distinction between  
10 those types of situations just struck me as a  
11 little bit ridiculous, personally. But that's  
12 just my personal bullshit detector.

13 CO-CHAIR ROSSTON: Dennis, you  
14 want to jump in?

15 MEMBER ROBERSON: Yes. I guess  
16 this begs the question of given that we're  
17 lacking data the question of how valuable the  
18 additional input that just came out in the  
19 first discussion might be to this working  
20 group.

21 It seems like it would be  
22 extremely valuable and you're nodding your

1 head so that's point one. The second one is  
2 really reflecting on Tom's point of the  
3 criticality of the 25 lower megahertz.

4 I don't know whether that was  
5 communicated to the working group or not but  
6 I would presume that it was. I know you're  
7 reaction to it indicates that.

8 MEMBER WARREN: Yes.

9 MEMBER ROBERSON: So given that,  
10 it's a bit surprising that there wasn't at  
11 least some consideration given to that  
12 impression in each of the sub-working groups.  
13 Would you comment on that?

14 MEMBER WARREN: Sure. And Bryan,  
15 feel free as well. There was quite a  
16 considerable discussion of this both by all  
17 participants as it was repeatedly raised at  
18 sub-working group and working group levels by  
19 a lot of different folks.

20 To paraphrase the discussion, I  
21 think it was and also preceded what I've  
22 understood from Tom the commitment not to go



1 after that upper portion was that it's just  
2 moving off the inevitable then if this is the  
3 next bite.

4 So we really need to look at it in  
5 its entirety and also the impacts from auction  
6 revenues, how do you - the department, as I  
7 understood it, was very concerned with the  
8 fact that based on the information for these  
9 analyses that there would have to be two  
10 auctions, two - just a constant stream of  
11 uncertainty and disruption and questionable  
12 money flow, et cetera.

13 And they were very reluctant to  
14 engage in looking at the 25 megahertz when it  
15 really was a whole package that was being  
16 discussed and worried about.

17 Now, I don't know how what, you  
18 know, Tom and T-Mobile and AT&T and Verizon's  
19 comments and commitments may change that  
20 comfort level. I can't speak to that. We  
21 didn't discuss them.

22 MEMBER SUGRUE: This is Tom

1 Sugrue. I hope so, and also on the revenues  
2 at least in the foreseeable future 90 percent  
3 of the values in that lower 25, I mean, you  
4 know, a lot of you know Neville Ray and he was  
5 industry and he would say, "Well, even if you  
6 gave it to me I'm not sure what I'd do with it  
7 right now."

8 It's not standardized for any type  
9 of use we use it for around the globe. We'd  
10 find something to do with it, I'm sure.

11 But the point is it's not -  
12 whereas the lower 25, of course, is used, as  
13 people have pointed out, around the globe.  
14 The equipment is right there.

15 A lot of the equipment in our  
16 network actually works on that band now. We  
17 just don't use it, you know, because it's made  
18 to global standards.

19 So it's also the case, as I  
20 understand it, that one thing - and you  
21 alluded to it, Jennifer, that bedeviled this  
22 group has bedeviled the other groups but

1 perhaps more so here because the types of uses  
2 is, you know, lack of availability of data and  
3 worst case scenario analysis.

4 And you combine those two with an  
5 airborne system and you're going to get  
6 results that look like this.

7 So this is really one where it's  
8 very important to have some better information  
9 because otherwise we are where that is, right.

10 MEMBER WARREN: Yes. So moving -  
11 just the last point here and the reason it  
12 only says identify possible future analysis is  
13 because there was a lot of commonality, not  
14 complete commonality but commonality among the  
15 four sub-working groups as to recommended  
16 areas for a possible future analysis.

17 So that's on the last chart to  
18 look at in its entirety rather than sub-  
19 working group by sub-working group.

20 I will say a couple of other  
21 issues that -- well, they'll be flagged in the  
22 draft report in July, which is our time frame

1 for the next one.

2 Moving on to small unmanned aerial  
3 systems, again, based on the preliminary  
4 analysis the sharing, again, does not appear  
5 feasible, again, because of the large  
6 separation distance requirements rendering the  
7 top 100 markets undesirable.

8 In this case in the small UAS  
9 group industry expressed a view that they  
10 wanted to have captured was that it really -  
11 this conclusion really was due to the  
12 insufficiency of the publicly releasable data.

13 But when you look at what - based  
14 on the data that was released, what the  
15 protection distances are as in AMT you're  
16 looking at fairly large protections that  
17 consist of 300 kilometers and 285 kilometers  
18 depending upon the direction.

19 MS. TAKAI: Can I just make one  
20 comment?

21 CO-CHAIR ROSSTON: Sure.

22 MS. TAKAI: Okay. I didn't pipe

1 up before. I wasn't sure. I was just asking  
2 Karl. Let me just go back to the question of  
3 the compressions, right, and why, you know,  
4 the DoD folks were not looking at compression.

5 We actually did not tell - I mean,  
6 we effectively said to the DoD guys don't look  
7 at compression because we are not clear that  
8 compression is an option that's on the table,  
9 okay.

10 I mean, the way that we looked at  
11 it was that it was either the - that, again,  
12 we were looking at the whole band and that it  
13 was initially potentially 1755 to 1780 but  
14 that that would then be followed by 1780 to  
15 1850, just to be clear.

16 So we didn't look at those as  
17 independent options. So if you got a reaction  
18 from the DOT folks that said well, look at  
19 compression and they said to you well, no,  
20 we're not looking at compression, that was  
21 because from a total DoD perspective we said  
22 we're looking at either, you know, 1755 to

1 1780 and we don't even know if that's what  
2 we're looking at but we made an assumption of  
3 that, or we're looking at 1755 to 1850.

4 Now, you know, we have had some  
5 just kind of brainstorming sessions around  
6 well, you know, what if in fact we were faced  
7 with compression and compression was the right  
8 thing to do.

9 We did take a look and parse it  
10 out kind of system by system and there are  
11 some different options.

12 Now, there are some that still  
13 won't work even in a compression scenario,  
14 quite frankly.

15 But I just wanted to clarify that  
16 we just didn't look at it as an option and,  
17 again, back to the point around - I mean, I'm  
18 not saying the DoD folks should necessarily  
19 say, give me more money to do another study.

20 But, you know, we are trying to  
21 work sort of within a limited number of people  
22 working. So it's not that we're not willing

1 to explore additional options as the CSMAC  
2 work continues.

3 We're just trying to figure out  
4 how much work is to get to one set of  
5 conclusions and then we decide what the next  
6 set of work is, if you follow me.

7 So we're prepared to continue with  
8 the CSMAC work. It's just you can do an -  
9 sort of an infinite number of what-if  
10 scenarios and we're just trying to figure out  
11 what's the right process to get to the right  
12 what-if scenario so we're spending our time on  
13 those that are most beneficial.

14 So, again, I just don't want to  
15 leave the impression that, number one, you  
16 know, we did deliberately not look at  
17 compression because we thought that those were  
18 the parameters. At least, that was the  
19 parameters I set for the DoD folks, right.

20 I mean, Tom, we didn't take your  
21 option and say this is an option that we want  
22 you to explore. Now, maybe that was our

1       misunderstanding but, you know, it is the way  
2       that we looked at it.

3                   And then the second thing is, I  
4       think, you know, we're prepared to do  
5       additional analyses. We'd just like to do it  
6       as a directional thing that's decided by the  
7       CSMAC working with us as opposed to sort of  
8       well, let's try this, let's try this - you  
9       know, kind of let's try this.

10                   MEMBER WARREN: Thank you. That's  
11       helpful.

12                   MEMBER SUGRUE: If I could - I  
13       mean, I think we really should focus on that  
14       and I understand - on, sorry, compression and  
15       the lower 25 first.

16                   For some of the reasons I said  
17       initially, you know, we have - the time to  
18       resolve the lower 25 is measured in months.  
19       The time to resolve the upper 70 is measured  
20       in years.

21                   And those issues are complex and  
22       all but I'm hoping by - we think and we've -



1 you know, and Teri, you and I have probably  
2 put more staff time into this than anyone else  
3 around the table and all and we're a little  
4 short ourselves.

5 So we don't have the biggest  
6 teams. But so we've looked at it very  
7 seriously and we think that's doable and a  
8 focused discussion on that would really, I  
9 think, pay great dividends potentially.

10 If we could free up that 25 that  
11 would be, you know, the biggest breakthrough  
12 in terms of relationship between industry and  
13 government and this whole process would just  
14 get a shot in the arm as to how we can go  
15 forward.

16 The credibility of the  
17 administration and the White House - I mean,  
18 I'm just trying to put a little political sort  
19 of aura about it too because we live in that  
20 world.

21 But it would be - there would be a  
22 dynamic, I think, that would take over this

1 process that would be worth its weight in gold  
2 as well.

3 MEMBER OBUCHOWSKI: This is  
4 Janice. Thanks, Tom, and I think the aspect  
5 of your proposal that said we're taking less  
6 of the band off the table for ten years was  
7 also a breakthrough because as you know as of  
8 February the entire band was advertised on the  
9 CTIA band website as being sought after.

10 So, you know, this has been a bit  
11 of a moving target and, you know, I think that  
12 statement - ten years is a long time but not  
13 really.

14 You know, I'm the old lady of  
15 spectrum here and the last - the AMS - one  
16 auction was launched before 9/11. It's kind  
17 of hard to believe that that was ten years ago  
18 and more.

19 If this really is something that  
20 the Pentagon and other federal users can rely  
21 on for ten years and that the issue doesn't  
22 get resumed for dialogue I think that is a

1 breakthrough.

2 But I don't think they have the  
3 confidence level based on what the industry  
4 was saying that that was the case.

5 MEMBER SUGRUE: This is Tom again.  
6 I would add CTIA signed that letter. I didn't  
7 mention them but Steve Largent signed that as  
8 well, I believe.

9 MEMBER OBUCHOWSKI: Yes. Well,  
10 that is the breakthrough.

11 MEMBER SUGRUE: Yes, okay. Okay.  
12 I just wanted to clarify that.

13 MEMBER OBUCHOWSKI: It just kind  
14 of was a change at heart. You know, it  
15 happened after this process was launched - I  
16 mean, months after it was launched and back in  
17 February that was not the official position of  
18 CTIA.

19 MEMBER SUGRUE: Yes. I mean, I'm  
20 sorry. And my point is I'm going to go back  
21 and say how come you guys weren't doing this  
22 earlier. Now that we're where we are we heard

1 you and we tried to be responsive to it. So  
2 anyway -

3 CO-CHAIR ROSSTON: I'm sorry,  
4 Jennifer. I've got one more.

5 MR. NEBBIA: Just I guess the big  
6 question we have about that, and I appreciate  
7 that input, we were asked to find 500  
8 megahertz over ten years.

9 So when somebody refers to we're  
10 not going to implement or get access to the  
11 system for ten years it doesn't - it doesn't  
12 sound much different because actually to do it  
13 at that ten-year point we got to start the  
14 work now.

15 So it doesn't really sound like  
16 you're - in doing that you're really offering  
17 something completely - you know, I appreciate  
18 the promise.

19 But it's sounding a little bit  
20 like the promise we got the last time around  
21 that they weren't going to come after the 1755  
22 and above spectrum.

1                   So I'm not sure that the ten years  
2 actually buys us and we're just trying to, you  
3 know, keep the understanding clear and even  
4 it's - I think it was a nice gesture but it  
5 doesn't appear to really commit us to more and  
6 more security than we have right now.

7                   We're already looking toward that  
8 ten-year point and we've got to start working  
9 now to get there so -

10                   MEMBER SUGRUE: Can I revoke  
11 Karl's award? I just want to -

12                   (Laughter.)

13                   Let me just respond quickly. I  
14 don't want to take more of Jennifer's time.  
15 I realize we're over time.

16                   What we were reacting to was  
17 consistent themes and we heard this - I'm not  
18 saying this in any sort of accusatory way.  
19 This is what we heard.

20                   The narrative was you guys said  
21 this before and you've come back very quickly.  
22 You know, not ten years - you come back the

1 next year and immediately and you say, you  
2 know, no sooner was that auction done on 1710  
3 to 55 that you were back asking for that other  
4 spectrum.

5 We were back. I don't believe we  
6 promised anything along the lines you  
7 suggested. But who cares at this point?  
8 That's ancient history.

9 So we were - what the ten years is  
10 saying okay, we hear you - you were going on  
11 the record at the CTO level. This isn't just  
12 some Washington guys who will say anything,  
13 you know.

14 A senior officer in the company,  
15 which I hope has some credibility with the  
16 group, they take what they say very seriously.

17 So that's what it is, Karl. I  
18 realize the process may take an extended  
19 period of time. I also thought you were  
20 getting at can we count this 70 megahertz  
21 towards the 500 because it's a counting  
22 exercise and we're fine with that too if

1 that's - because we'll be working on it.

2 And I would suggest this isn't -  
3 we're also not suggesting we take the 70 and  
4 put it in, you know, the back room in the dark  
5 room someplace but that we use that interim  
6 period to sort of look and see what's possible  
7 and how it can be done.

8 But that we wouldn't say okay,  
9 give it to us sooner than ten years. So  
10 that's - you know what I'm trying to say?

11 MEMBER WARREN: Yes. Oh, sorry.

12 CO-CHAIR ROSSTON: Okay. Can we  
13 wait until after - let Jennifer finish and  
14 I'll make sure you get recognized first?

15 ASST. SEC. STRICKLING: I have an  
16 announcement to make. No.

17 (Laughter.)

18 CO-CHAIR ROSSTON: I think we're -

19 ASST. SEC. STRICKLING: I don't  
20 want to extend this debate much longer but I  
21 do want to have the last word. Getting us  
22 back to Karl's point, you know, we have this

1 obligation to find 500 megahertz.

2 If we - for anybody around this  
3 table to think that getting 1755 to 1780 done  
4 in isolation, solves our nation's spectrum  
5 needs we're all kidding ourselves.

6 I think it's also the fact that  
7 what we tried to put in motion here and I  
8 think it's largely been successful is to get  
9 people thinking about spectrum differently  
10 than they have before because before this it  
11 was all you got to clear it for us so we can  
12 have exclusive use.

13 We're finally having the debate  
14 about sharing and the thing that - and maybe  
15 now is an appropriate time to figure out how  
16 we meet the immediate needs.

17 But it has to be in the context of  
18 a plan for all 95 megahertz. It has to be in  
19 the context of how are we going to solve these  
20 problems for the next five to 15, 30 years,  
21 which requires us to really confront how do we  
22 work together with each other, how do we solve



1 information sharing, how do we create the  
2 rules of engagement for sharing of the  
3 spectrum.

4 And this has been a terrific first  
5 effort in that regard and we can't just kick  
6 the can down the road and say okay, well, it's  
7 not working - we've got these immediate needs  
8 and now we have to go back and focus on doing  
9 it the old fashioned way we've done it.

10 So somehow we have to keep  
11 building on what we're trying to put in place  
12 here because it's the way we're going to have  
13 to do this stuff going forward.

14 We're going to have to solve these  
15 problems. So I understand the industry's  
16 imperatives here. But, frankly, the ten-year  
17 promise really - as Karl said, it's not  
18 meaningful to us and it's certainly not  
19 meaningful to the Department of Defense  
20 because it avoids the issues we have to be  
21 dealing with that we've tried to be dealing  
22 with through these working groups for the last

1 year. So -

2 MEMBER OBUCHOWSKI: You go, Larry,  
3 with CTIA and see you in 20 years.

4 MEMBER WARREN: Okay. So for  
5 ACTS, the Air Combat Training System, you  
6 know, what we've done is obviously specify the  
7 distances that would be necessary to have  
8 everybody understand why, again, sharing based  
9 on the current assumptions is not feasible for  
10 this system either.

11 But as I said, we will be getting  
12 to a chart that talks about, you know, some  
13 optimism.

14 The last chart here on the fourth  
15 working group is the precision-guided  
16 munitions one and other miscellaneous airborne  
17 systems and this was really, I think, the  
18 hardest in some ways just because of the  
19 vastness of the systems being analyzed.

20 So with the sites identified and  
21 the distances provided, not surprisingly we've  
22 said that sharing is not feasible.

1                   However, in this case the majority  
2                   of the systems in terms of numbers of systems  
3                   indicated that relocation to comparable  
4                   spectrum could be an approach.

5                   Now, talking about comparable  
6                   spectrum has been very important to the  
7                   department because it's not we'll move, oh,  
8                   and then later we'll figure out where but  
9                   we'll move to a comparable spectrum.

10                   It's a single sentence, not two  
11                   clauses. So the industry and government in  
12                   this group has put forward identifying what  
13                   bands, specific bands in fact, that could be  
14                   looked at as comparable spectrum with a number  
15                   of caveats associated with them, recognizing  
16                   that the bands that are identified are  
17                   congested, would require a change to the table  
18                   of allocation and, you know, we also would  
19                   want to put a caveat in there that, you know,  
20                   the stakeholders in those bands have not been  
21                   necessarily part of this dialogue to make  
22                   their sharing requirements and issues

1 understood as well.

2 With that said, for the two bands  
3 in particular for those systems would be 2025  
4 to 2110 and 1435 to 1525 megahertz.

5 I believe these were also in the  
6 NTIA report. But the group is putting those  
7 forward as what I would call bands per study,  
8 primary study as potential locations.

9 With respect to JTRS AMF, which is  
10 - yes, Dave? Sorry, I should have looked down  
11 there.

12 MEMBER DONOVAN: Why don't you  
13 finish, Jennifer, and then we'll go back.

14 MEMBER WARREN: Okay. Thank you.  
15 With respect to JTRS AMF, which is the  
16 airborne part of JTRS as opposed to what Mark  
17 was discussing in Working Group Four, there  
18 they took a little bit different approach  
19 which was but for selected priority sites for  
20 JTRS operations the rest of the JTRS AMF used  
21 to be compacted or compressed into the 1780 to  
22 1850 band.

1                   However, there were some key sites  
2                   that would have to be across the entire band.  
3                   And then finally, with respect to TTNT, except  
4                   for the Navy version, I think this just covers  
5                   Army and Marine - I have it Army and, I think,  
6                   Marine - the entire - the DoD's priority sides  
7                   would have to be protected across the entire  
8                   band.

9                   There would be no compression here  
10                  for these sites. Now, that's kind of a dark  
11                  view. As I've said, you know, no sharing is  
12                  feasible.

13                  However, as a reminder, all four  
14                  sub-working groups identify areas for  
15                  promising future study and what we've done on  
16                  the last page is really try to capture those  
17                  areas.

18                  The first two are time-based and  
19                  geographic-based sharing. In the context of  
20                  time-based sharing, there were some  
21                  presentations by the commercial wireless  
22                  industry vendors that came in to talk about

1       how a license shared access system that's in  
2       the process of SC development, as I understand  
3       it, or certification, could be used.

4                   In the context of a geographic-  
5       based sharing approach, that would be looking  
6       to prioritize government assignments outside  
7       of the top commercial markets of the wireless  
8       operators.

9                   Another option for study would be  
10      off tuning of the LTE base stations so that  
11      basically you could avoid direct co-channel  
12      operation.

13                   A third was notching for given  
14      times and the narrower the channels that the  
15      government systems were using the easier the  
16      notching would be. But, again, an area for  
17      promising study.

18                   To look at a different approach to  
19      the interference threshold rather than  
20      identifying the desired signal level, looking  
21      - I'm sorry, identifying the desired signal  
22      level rather than using the noise floor as an

1 approach.

2 The effects of clutter and terrain  
3 - now, the AMT group indicated that they had  
4 looked at least at ground-to-ground clutter in  
5 their - ground-to-ground terrain issues in  
6 some of their studies but air-to-ground had  
7 not been with respect to terrain and clutter  
8 not at all in any of the sub-working groups.  
9 So there's a lot of potential there.

10 And, finally, the UE antenna  
11 heights there was a 1.5 meter height used and  
12 there was the thought that, you know, if the  
13 terrain-dependent losses, propagation losses  
14 or the clutter losses that were incorporated  
15 into the analysis then there could be the  
16 change in the antenna height that could be  
17 meaningful in terms of potential sharing.

18 That's what's in - you know, that,  
19 I think was in all of the sub-working group  
20 reports. So they've identified some really  
21 solid areas for potential study but this needs  
22 - you know, the decision about where should

1 the study take place, should it be within the  
2 CSMAC process, how do we go forward, I don't  
3 want to say how should it be funded but how  
4 should the resources be brought to bear to  
5 work on these and how do you prioritize them  
6 on them - what are the potentials to yield the  
7 greatest result.

8 I think these are conversations  
9 that are still going to take place.

10 MEMBER TRAMONT: And just before  
11 we turn to David, I do think that Working  
12 Group Five demonstrates the importance of  
13 Teri's announcement on a path forward today  
14 because I think this is the group that would  
15 benefit the most from that information  
16 sharing.

17 And we - you know, we have draft  
18 sub-working group reports. We have a draft  
19 working group report that are now in the  
20 process, as Jennifer outlined, to be ready for  
21 July.

22 Those aren't going to get done



1 with some alteration with additional  
2 information. I mean, those are finished. So  
3 there's got to be some sort of new process  
4 moving forward.

5 Whether it's, as Jennifer referred  
6 to, whether it's inside CSMAC or outside a  
7 CSMAC process, the results for our sub-working  
8 group I think - or for our working group are  
9 particularly missing key data that I think  
10 will greatly benefit from that process.

11 So I think it's hard to drive a  
12 lot of lasting data from what the work that's  
13 already been done with Group Five.

14 MEMBER DOMBROWSKY: Just one other  
15 thing to add to that and I think the other  
16 thing that's not on here is determining  
17 whether even these are the right next step for  
18 this Working Group Two because I think, you  
19 know, from the industry even with the  
20 preliminary information the question of do you  
21 put resources towards doing these extra level  
22 - are we actually going to go from 300

1 kilometers to 290 kilometers - that needed to  
2 do another three months of work to do that.

3 So I think that's something that  
4 hasn't been discussed among the full working  
5 group yet either. If - you know, while we  
6 could do these things would it have enough  
7 benefit to actually go down that path. I  
8 think that's the other thing to think about.

9 CO-CHAIR ROSSTON: Dave?

10 MEMBER DONOVAN: Yes, thank you  
11 very much. But first of all, I want to thank  
12 all the sub-groups. I really wasn't on the  
13 sub-groups at all but I think one of the  
14 questions I have is as I understand this the  
15 interference analysis was done with respect to  
16 the airborne systems and other systems to LTE,  
17 correct?

18 MEMBER WARREN: And LTE.

19 MEMBER DONOVAN: So there was no  
20 interference analysis done to potentially  
21 those bands where entities may be relocated.

22 MEMBER WARREN: Correct.

1                   MEMBER DONOVAN:  And unlike  
2                   Working Group Four, which believed making  
3                   specific recommendations were beyond the scope  
4                   in this working group, those recommendations  
5                   I believe have been or are being made,  
6                   correct?

7                   MEMBER WARREN:  Do you want to  
8                   comment on -

9                   MEMBER GIBSON:  Well, yes.  The -  
10                  let me comment from 4.  The recommendations  
11                  were not about where they should locate any  
12                  different than what were in the report.

13                  So all we did was to say take what  
14                  you put in the report and any information that  
15                  we got out of that and work on the relocation.

16                  So we didn't make any  
17                  recommendations about where they should go at  
18                  all in 4.  Is that clear?

19                  MEMBER DONOVAN:  Right.  So you  
20                  didn't go beyond the NTIA report?

21                  MEMBER GIBSON:  Right.

22                  MEMBER DONOVAN:  All right.  Which

1       itself says look at numbers of things,  
2       correct?

3                   MEMBER GIBSON:   Yes.   Exactly.

4                   MEMBER DONOVAN:   Okay.   You have  
5       gone - you're different, correct?

6                   MEMBER WARREN:   Always.   But with  
7       respect to the sub-working group reports, yes,  
8       there are actually recommendations - at least  
9       the language is phrased in the sub-working  
10      group report to recommend looking at  
11      comparable spectrum that's being recommended  
12      for looking at is or are those two bands.

13                  MEMBER DONOVAN:   Okay.   And so the  
14      -

15                  MEMBER WARREN:   I went back and  
16      double checked a couple of times that that's  
17      was how it was drafted.   That may change to  
18      reflect the caveats more strongly that I put  
19      out there.   But it -

20                  MEMBER DONOVAN:   Yes, if I might  
21      then, the concept then of comparable spectrum  
22      was just based on the spectrum characteristics

1 of a particular band would work for these  
2 situations?

3 MEMBER WARREN: I think it was  
4 drawn, and I look to Tom but I think it was  
5 drawn from the NTIA reports which is the  
6 basis.

7 MEMBER DOMBROWSKY: Yes, exactly.  
8 It really is - even though the wording is a  
9 little bit stronger in 5 it really is  
10 following the NTIA report.

11 It's the bands that NTIA and the  
12 federal agencies identified as possible  
13 comparable spectrum that could be homes for  
14 them if they did have to relocate.

15 MEMBER DONOVAN: Okay. If you  
16 would just bear with me for a couple - just a  
17 couple - I don't - a couple more minutes. I  
18 don't want to drag this out too long.

19 I think one of the concerns I have  
20 here are obviously the 2025 to 2110 is  
21 broadcast EAS spectrum. That's essentially  
22 the spectrum that we use for every live local

1 newscast we do on a day in day out basis.

2 It's also enormously congested,  
3 particularly during times of emergencies. I'm  
4 very sensitive to this because I'm responsible  
5 for the New York State EAS system and was very  
6 much involved in how that system and the new  
7 system responded to Superstorm Sandy.

8 And if I read this analysis  
9 correct and admittedly the interference  
10 analysis was done to LTE and not EAS, but EAS  
11 systems those masts can be as high as 30 feet  
12 and you've got in New York City alone about 80  
13 news trucks floating around, all hitting  
14 receive sites all over various parts of that  
15 city.

16 So the potential interference to  
17 Defense Department systems is probably greater  
18 or vice versa. In any event, that analysis  
19 needs to be made.

20 So to suggest that it - that is  
21 comparable spectrum without at least  
22 conducting an analysis there is - as a matter

1 of procedure, I think, is of concern to me  
2 because your protection zones, your  
3 interference zones here are so huge that in  
4 effect there may - we're not talking about  
5 sharing here.

6 I think what you're talking about  
7 is moving these systems into the EAS band and  
8 essentially moving the EAS band someplace  
9 else.

10 We don't know where that is and  
11 apparently that's beyond the scope of what  
12 we're looking at here. So it's entirely  
13 possible if the recommendations are followed  
14 that you could have a preclusive effect of on-  
15 the-spot news coverage particularly during  
16 emergencies across the entire East Coast.

17 The - you know, the tactical link  
18 system - I mean, if you did that in New York  
19 that essentially may preclude EAS throughout  
20 the entire New York DMA. That's 19 million  
21 people.

22 If I'm doing a tactical system in

1 Pawtuxet under a TTNT system that takes out  
2 EAS in Washington. Now, if the analysis said  
3 yes, we can share, we could look at stuff like  
4 that, that would be great.

5 And I'll just close with it is  
6 that this is not old analog technology. Just  
7 a few years ago, we gave up 35 megahertz of  
8 spectrum to MSS and that was reallocated for  
9 MSS services, which is pretty close in the  
10 same band. So maybe that's comparable.

11 And new digital systems were in  
12 place and you can talk to - is anyone from  
13 Sprint here? Because we worked two or three  
14 years to get that relocation done and it was  
15 done.

16 So I guess I would ask is that if  
17 we go forward with this can we have an  
18 analysis done of the impact on where the  
19 "comparable spectrum" is? Would that be  
20 appropriate?

21 MEMBER TRAMONT: So no. So I just  
22 want to - I want to reiterate what Jennifer



1 said. These - what you're reacting to and  
2 what we had to react to was this draft of the  
3 sub-working group reports.

4 We will - we are in the process of  
5 refining those recommendations and they will  
6 come to the CSMAC for final review at the next  
7 meeting.

8 There is substantial concern among  
9 the CSMAC liaisons and others about the nature  
10 of this language and I think, as Jennifer also  
11 flagged, particularly the dangers associated  
12 with recommending specific bands when those  
13 constituent groups aren't represented.

14 And, indeed, putting beyond the  
15 constituent element there just hasn't been any  
16 technical assessment done about whether  
17 sharing is possible, what it would look like,  
18 what have you.

19 So I think the Working Group Four  
20 report is a probably more refined approach  
21 that will probably be ultimately a little bit  
22 closer to where we end up.

1                   But there is sensitivity to what  
2                   you flagged and I think we'll all be reacting  
3                   to that as we review the drafts going to the  
4                   July meeting.

5                   MEMBER DONOVAN: And since some of  
6                   it is for sniper spectrum I want to make sure  
7                   the red dot is not on any of us.

8                   MEMBER OBUCHOWSKI: You raised an  
9                   important point about comparable spectrum,  
10                  but, of course, it is statutory that  
11                  comparable spectrum be identified if there is  
12                  going to be relocations.

13                  And I think one of the sore spots  
14                  of this process, frankly, is that relocation  
15                  does not imply consolidation within the narrow  
16                  band in all cases.

17                  So, you know, I don't think I'm  
18                  talking about any specific band but I do think  
19                  it behooves the FCC as an esteemed partner in  
20                  this process to begin to think about placing  
21                  where, if the relocation is required, it can  
22                  be a partner in the process for federal

1 systems.

2 You know, frankly, I'm tired of  
3 hearing data thrown out in the public domain  
4 about how much spectrum the Feds use. Sixty  
5 percent, 80 percent - I mean, I don't where  
6 these numbers are coming from but they're not  
7 true.

8 And as our national security  
9 depends on this, you know, it is statutory  
10 that that spectrum be identified and it may  
11 well be that this isn't the perfect place but  
12 it does behoove the FCC and the commercial  
13 growth to think about this seriously.

14 MEMBER DONOVAN: Janice, I fully  
15 agree with you. I think one of the concerns  
16 that - because I think this is a national  
17 security concern particularly in any event  
18 whether it's natural or manmade is that the  
19 only alternatives that we have right now are  
20 bonded cellular systems which rely basically  
21 on the underlying cellular system.

22 And as we found in New York, that

1 is problematic at least for the near future.  
2 I have no idea how all those issues are going  
3 to work themselves out.

4 So the only way you can get a  
5 camera in front of a public safety official  
6 and get that information out to people during  
7 an emergency is through the two gigahertz  
8 band. That's what we ended up using.

9 So it's caution and I'm just  
10 requesting some in-depth analysis before we  
11 start identifying landing purchase.

12 MEMBER WARREN: So - I'm sorry.  
13 Excuse me.

14 CO-CHAIR ROSSTON: So I recognize  
15 Kevin Kahn and then go back to Jennifer, okay?

16 MEMBER KAHN: Okay. Kevin Kahn.  
17 Just one thing that Jennifer touched kind of  
18 in passing but I just wanted to emphasize it  
19 because it jumped out at me listening to the  
20 Work Group 5 discussions was that there is -  
21 there are, I think, some real advanced sharing  
22 techniques that are not possible today but are

1 certainly worthy of a lot of serious study.

2           You know, the cellular guys were  
3 observing in some of their presentations that  
4 they could probably vacate channels in times  
5 measured between milliseconds and tens of  
6 seconds, worst case.

7           And at the same time the DoD  
8 people when asked, you know, how do you  
9 schedule use of certain channels were saying,  
10 well, you know, we schedule maybe as soon as  
11 tomorrow, you know, which sort of suggests  
12 that somewhere between those there's actually  
13 ways to react to stuff.

14           My concern is that those kinds of  
15 sharing schemes are very difficult to even  
16 discuss today because they cross so many  
17 boundaries.

18           They cross the NTIA and the FCC,  
19 they cross the government - you know, the DoD  
20 and the commercial operators, and they're  
21 going to require a lot of work in, if not  
22 standards, at least agreements on how

1 notifications happened, what the channels are  
2 by which these things occur.

3 You know, can they occur without  
4 compromising security issues. You know, I  
5 mean, if it's just a training mission maybe  
6 that's easy. If it's something else maybe  
7 it's not.

8 But that kind of work. You know,  
9 what I took away from all of this is that, you  
10 know, we're probably going to try to wind up  
11 doing reload to clear the 25 megahertz because  
12 that seems to be only practical but that if  
13 you really want to look at a 20-year solution  
14 we've got to find ways to utilize whatever  
15 those advanced techniques are for sharing.

16 And my concern is coming out of  
17 this process there needs to be some way to  
18 drive the kinds of discussions that are very,  
19 very much more across organizational and  
20 across structural than exists today because if  
21 you just have that kind of discussion once in  
22 a while when something like this gets set up

1 and some industry guys show up in the same  
2 room with some, you know, some DoD contract  
3 type people you're not going to get the  
4 mechanisms in place to be able to even explore  
5 what's feasible and what isn't.

6 So I hope coming out of all of  
7 this that there's an overarching  
8 recommendation that says, you know, whatever  
9 we do for the immediate solution, and  
10 hopefully Tom gets some of the spectrum he's  
11 talking about, that we get mechanisms in place  
12 that will allow the government and industry -  
13 all the government and, you know, the FCC side  
14 and the NTIA side and industry, and the  
15 standards bodies to actually find ways to work  
16 toward having some of these structures that  
17 are going to allow much more advanced kinds of  
18 sharing techniques.

19 Because in the long run, I think  
20 those are your only real solution paths over,  
21 you know, measured in decades. But they're  
22 not going to happen unless we can start down

1 that road.

2 MEMBER OBUCHOWSKI: I think the  
3 one thing you need to know though is that  
4 imperfect as this process has been and  
5 emotional as we all can be about our different  
6 equities, this has been the most fulsome  
7 discussion of sharing that has happened in the  
8 public domain.

9 So while we can all be self-  
10 critical - I surely can be - my last note on  
11 this is I just want to thank everybody because  
12 I think we did embark on that discussion.

13 There, obviously, are differences  
14 of opinion between folks that are interested  
15 in unlicensed and sites that want clear  
16 spectrum.

17 I'm happy that as a result of this  
18 the president in his memorandum identified  
19 this kind of process as useful going forward.

20 And so I don't want to - I want to  
21 compliment all of us for trying to do  
22 something that was actually unprecedented and



1 not to be overly self-critical about it.

2 CO-CHAIR ROSSTON: Just one  
3 process thing before I let Tom talk is I think  
4 we're skipping the break.

5 So feel free to get up and move  
6 around but I thought this was important that  
7 we continue the discussion. So just I give  
8 you warning as to what the agenda is going to  
9 be, right, for the rest of the time so you  
10 don't count on a break.

11 MEMBER DOMBROWSKY: And then you  
12 give the microphone to Tom Dombrowsky to say  
13 I'm the one stopping the break.

14 CO-CHAIR ROSSTON: Yes, exactly.

15 MEMBER DOMBROWSKY: Thank you very  
16 much.

17 CO-CHAIR ROSSTON: We do want to  
18 tell you we'll wrap this up in a couple more  
19 minutes so I'm going to go -

20 MEMBER DOMBROWSKY: All right.  
21 I'll try to be - I'll try to be brief and my  
22 only point is that we've come to the

1 fundamental problem that we've had all along,  
2 which is the comparable spectrum question.

3 Frankly, I don't think - there's  
4 no one in the industry that says you don't get  
5 comparable spectrum. When we get moved, you  
6 get moved, whoever gets moved you share  
7 comparable spectrum.

8 I think the issue we have had all  
9 along is what spectrum are we talking about.  
10 There has not been a desire in the industry  
11 side for 1780 to 1850.

12 There's a lot more desire for 2025  
13 to 2110. So look at that. We're both looking  
14 for the same spectrum impact. The CTIA has  
15 filed a petition for a piece of that 2095 to  
16 2110 megahertz band.

17 So that's where our fundamental  
18 differences of opinion on this sort of effort  
19 of where we're planning the next 70 megahertz  
20 of spectrum is coming from at some fundamental  
21 level.

22 CO-CHAIR ROSSTON: Jennifer, now

1       you can go.

2                   MEMBER WARREN:   Okay.  I just want  
3       to try and close this.  This has been a very  
4       far-ranging conversation but I do think it is  
5       illustrative of the conversations that have  
6       been happening actually in Working Group Five.

7                   And I do want to echo Tom's point.  
8       It has been very hard to have the discussion  
9       about agreement to relocate or that's the only  
10      solution without words that make the whole  
11      sentence with the need for comparable spectrum  
12      and, you know, a desire to at least, based on  
13      the work that went into the NTIA report, which  
14      concluded that 2110 to 21 - or sorry, the two  
15      gigahertz band would be a good solution and it  
16      did recognize.

17                   For example, I know Dave won't  
18      like this that either, you know, EAS would  
19      move or be operating on an NIB basis.  So not  
20      music to anyone's ears, I'm sure, if they're  
21      the incumbent.

22                   And then 1435 to 1525 there were

1       alternate bands, I think, that were identified  
2       in the NTIA report but they were secondary,  
3       not primary, and I believe that's probably why  
4       Working Group Five or the sub-working groups  
5       at least concluded with the bands that they  
6       concluded.

7                       But as Tom said, we're working to  
8       make sure we caveat it properly and that we  
9       recognize that the stakeholders were not  
10      included in that discussion and so that it is  
11      not taken as a industry CSMAC wide  
12      recommendation, if you like. Thank you.

13                      CO-CHAIR ROSSTON: Okay. Thank  
14      you for that concise report.

15                      Okay. Dennis, are you going to  
16      take charge on this?

17                      MEMBER ROBERSON: Yes. As we do  
18      the ping pong I'll take the lead this time and  
19      this should be a short and concise report.

20                      In fact, I'm sure some of you  
21      around the table are asking why is Working  
22      Group One reporting out at all because you're

1 already done. Our report has been approved by  
2 this body.

3 But I think, perhaps, even in the  
4 context of what we've been discussing it's  
5 worthwhile going over a few points with  
6 Working Group One.

7 As we completed our work initially  
8 we did have a couple of caveats that there  
9 were potential additional sites that might be  
10 considered if you all remember and I'm sure  
11 you have this memorized.

12 There were 18 sites in the  
13 original report. There were a few more sites  
14 that we identified, actually 22. So it was a  
15 considerable number of additional sites.

16 Of those - and there was a reason  
17 for this. Initially, with the very large  
18 protection zones, multiple sites were within  
19 those zones and so it was not deemed necessary  
20 to separately identify the sites.

21 I think Karl is about to point out  
22 so I will for him - those on the line if you

1 could mute your phone that would be helpful to  
2 all of us. Thank you.

3 So the sites were identified now  
4 that we're reducing the size of the production  
5 zones.

6 Of the 22, nine of them were  
7 deemed worthy of additional focus because they  
8 were sufficiently outside the bounds if they  
9 would expand the protection zone. So that's  
10 just an update on the process.

11 And part of the reason for  
12 identifying that is that as we go along in  
13 each of these working groups we can anticipate  
14 that there will be new information coming  
15 along as we go, either information that was  
16 not deemed worthwhile sharing at the first  
17 blush or information that simply was omitted  
18 for whatever set of reasons.

19 But we have redone the  
20 calculations, adjusted - readjusted some of  
21 the protection zones, coordination zones and  
22 so the impact is roughly, depending on whether

1 you're doing the top hundred or the full  
2 nation 10 percent or 8 percent of the  
3 population.

4           So that's the - that's the  
5 impacted area by the protection zones. Second  
6 piece of this is moving the ball even further  
7 we have begun work to put together a test plan  
8 that would allow us to further inspect and  
9 understand.

10           The model gives us one answer. To  
11 vet that model on the ground testing was  
12 deemed quite desirable. How this might be  
13 funded once we've identified how it ought to  
14 be done is a whole another question.

15           Access, which land - which earth  
16 station should be focused on and so on is part  
17 of what the process is going through. But we  
18 are continuing that process and hopefully will  
19 have the ability to proceed with a test plan  
20 and I would suggest that that test plan is  
21 consistent with the presidential memorandum.  
22 So that fits that one very well.

1                   Finally, and probably most  
2                   importantly, we identified that - the fact  
3                   that a coordination process would be preferred  
4                   to an exclusion process which is where we've  
5                   started and particularly in this case - it  
6                   doesn't work for all cases but particularly  
7                   for this case where it's quite predictable  
8                   with the satellites going over and the fixed  
9                   earth stations, the coordination notion - time  
10                  sharing notion was deemed highly desirable and  
11                  put that forward, put it in the report but  
12                  didn't really identify in detail how that  
13                  coordination would take place.

14                         So the continuing efforts of the  
15                         working group are to try to determine the  
16                         details of how that coordination might  
17                         optimally work.

18                         And so we continue to move forward  
19                         with the working group even though we've  
20                         submitted our report and have that box  
21                         checked.

22                         And that is a succinct report, Mr.



1 Chairman.

2 CO-CHAIR ROSSTON: Are there  
3 comments or questions for Dennis? Great.  
4 Okay. I'm glad you enjoyed the break. Now  
5 let's move on to the next steps.

6 MR. NEBBIA: Okay. Looking ahead  
7 our next meeting is scheduled for the 24th so  
8 we want to encourage each of the working  
9 groups - excuse me?

10 PARTICIPANT: Tell them where.

11 MR. NEBBIA: Excuse me?

12 PARTICIPANT: Tell them where.

13 MR. NEBBIA: Oh. Here at - here  
14 in July.

15 PARTICIPANT: Not Boulder?

16 MR. NEBBIA: I'm sorry?

17 PARTICIPANT: Not Boulder.

18 MEMBER NEBBIA: Not Boulder - a  
19 Boulder meeting. Yes, it's here. So it is  
20 important if we're going to be able to come to  
21 closure on the outcomes of these working  
22 groups.

1                   It's important that we get them in  
2                   time to then circulate them to the members for  
3                   that meeting. We would really like to be able  
4                   to close that decision process at that  
5                   meeting.

6                   So please keep them in mind and  
7                   resist the thought that your new deadline is  
8                   July 23rd at, you know, 2330 or something.  
9                   But think in terms of getting them in a couple  
10                  weeks early.

11                  There's always going to be a  
12                  little slippage. You know, I just know how  
13                  that works. So please strive toward that. We  
14                  would love to get this wrapped up in - at the  
15                  end of July.

16                  So we know at that point - excuse  
17                  me?

18                  MEMBER TRAMONT: Just pick a day.

19                  CO-CHAIR ROSSTON: We actually  
20                  have a - we actually have to worry about,  
21                  like, a registered publication.

22                  MEMBER TRAMONT: So pick a date.

1 Just tell us - give us a number. Just -

2 MR. NEBBIA: Actually, I don't  
3 think there is a requirement. The requirement  
4 is to give you a reasonable amount of time.

5 So we will come up with a - we  
6 will come up with a date and send that out to  
7 you when we're looking for them.

8 Not that you've followed those  
9 dates in the past so and then change your  
10 mind. So that's what we're - that's what  
11 we're working toward so we can close out those  
12 recommendations.

13 I think these recommendations are  
14 getting us to the place that I think we could  
15 logically have expected this work to get us to  
16 to tell us what types of things are very  
17 likely to have to be moved.

18 I think as we've seen in the  
19 Working Group Five they're focusing on some  
20 areas of things that are probably going to  
21 have to be moved but also they're identifying  
22 for us the cases where they are likely to have

1 to be moved unless we can get down and work  
2 out some more detailed solutions to the  
3 process and I think that was a necessary step  
4 to get through.

5 So in the same way that Working  
6 Group One has continued we may find that at  
7 the decision point in July that some of these  
8 other working groups may continue on this  
9 process.

10 On the other hand, we may also be  
11 enlightened by the outcome and the discussions  
12 between DoD and the companies involved or the  
13 people involved in these NDAs that they're  
14 going to meet together for a period of time,  
15 have some discussions and then feed  
16 information back to the group.

17 So I think we are going to need to  
18 look at that as it's - as it's coming up.  
19 Ultimately, NTIA will be taking the input that  
20 we've received here and developing our input  
21 as the FCC rulemaking process goes forward,  
22 trying to inform them of our views and

1 concerns and so on and, certainly, these  
2 questions about comparable spectrum are going  
3 to be coming up in that - in that process.

4 But so we do - we do logically  
5 expect that there will be some additional work  
6 going on after these working groups finish in  
7 July.

8 Whether it's DoD, industry  
9 discussions that feed back into the working  
10 group, whether it's those discussions somehow  
11 feed our understanding in a way that we can  
12 move forward, but nonetheless, the commission  
13 rulemaking process is going to move forward.  
14 Our process of establishing transition plans  
15 and so on is going to be moving forward and so  
16 on.

17 So there may be additional work  
18 required as we go forward. I think the work  
19 that we've done thus far is going to lead to  
20 outcomes that are going to benefit everybody  
21 and I think that's important.

22 Obviously, it's tough committing

1 more and more and more effort to it. But  
2 we're looking for the best possible outcome we  
3 can get here and we appreciate the effort that  
4 people put in.

5 Any questions on that before I  
6 touch on future work for those who aren't  
7 exhausted yet? A few other thoughts?

8 So we did, at the last meeting,  
9 begin a discussion of some future ideas and we  
10 have listed five of those subjects that have  
11 gotten some play recently.

12 The first and second bullets - I  
13 think the third bullet, each of those clearly  
14 links into the presidential memo recently so  
15 then the database concepts, how we might use -  
16 you know, do spectrum management via  
17 databases when in fact we've got classified or  
18 FOUO databases and so on, how we might do  
19 that.

20 I think these are all great  
21 subjects to look at, and then the last one we  
22 had put on the table this idea of how do you

1 pay for spectrum sharing when there's no  
2 auctions.

3 In other words, if we introduce  
4 unlicensed how are we going to pay for the  
5 efforts of going in right now.

6 We're doing work right now on five  
7 gigahertz. There's no assumption that there's  
8 going to be payment because the law doesn't  
9 currently allow for it but what approach might  
10 we take there.

11 So we are looking at these as work  
12 ahead of us and it seems like at least on our  
13 review and discussions the first two might be  
14 able to be grouped together, this concept of  
15 how do we use general occupancy measurements  
16 to get a good picture of how the spectrum is  
17 being used.

18 That is, there is a pilot program  
19 in the presidential memo, to look at that  
20 particularly.

21 Also, this issue of quantification  
22 of federal use is in the memo. We deal with

1 lots of different systems. Questions come up  
2 as to whether the quantification is a  
3 geographic factor of how many people tops that  
4 a particular operation covers but also the  
5 time factor - how does that fit in there, how  
6 to - how do you account for operations to move  
7 around to different locations. In fact, they  
8 may have a nationwide allowance and they're  
9 not linked to a specific place.

10 So we've got some significant work  
11 ahead of us on that and would certainly  
12 appreciate the help. I think as was discussed  
13 earlier, though, in an extremely cryptic  
14 manner I think this idea of how can the  
15 government use spectrum in non-federal bands  
16 that maybe they're not using.

17 That's where, you know, we may end  
18 up there, and certainly there's an interest  
19 because the government is always looking for  
20 places to train.

21 If you can give them greater  
22 freedom in the, certainly, the major training



1 areas to use bands that may have been licensed  
2 years ago or auctioned years ago that would be  
3 a help.

4 So anyway, between now and the  
5 next meeting please give these some  
6 consideration how we should break them out and  
7 what order of priority we should give them.

8 Five has probably quite a bit of  
9 work to do, and then the big question is would  
10 you be willing to be on one of the groups that  
11 looks at this and, even more important, would  
12 you be willing to lead the group that looks at  
13 each of these - individual questions along the  
14 way.

15 So these are the ideas that we've  
16 got for future work and, certainly, please  
17 consider that over the next month.

18 CO-CHAIR ROSSTON: So I think we  
19 also want to make sure that we have some  
20 discussion of these topics today and also  
21 other ideas that you guys might have as to  
22 what we should consider and then sort of to

1 bring them up as ideas today and then move  
2 forward at the July meeting to talk about -  
3 you know, putting together a specific work  
4 plan and other things.

5 So that will be a subject at the  
6 July 24th meeting in addition to this. So Rick  
7 looks like he's ready to jump out of his seat.

8 MEMBER REASER: Ready - I'm ready  
9 to jump out of my seat. It's Rick Reaser. I  
10 think it might be good to have another  
11 inventory topic again.

12 That seemed to be a highlight in  
13 there, and since we were talking about ideas  
14 about sharing and stuff like that lately that  
15 might be something to consider.

16 The other thing - this one guy  
17 told, same as I said, you know, I thought that  
18 paying for the cost of spectrum sharing when  
19 there's auction I thought that meant something  
20 else and I thought it meant this issue that  
21 we're sort of hearing from federal agencies,  
22 listen, you're draining me dry of blood to

1 support all this stuff.

2 And so there's a lot of work that  
3 has nothing to do with getting ready to  
4 auction all the stuff we're doing now. The  
5 question is is there some way that the federal  
6 agencies can get funds to do this stuff now  
7 and I just - I think that that's the other  
8 issue, I think, that's kind of hitting us.

9 Because early on, you know, when  
10 the sequestration hit, there was rumor - it  
11 quickly was squelched but oh my God, we can't  
12 do anything because there's no money and I  
13 think that's - and if you're serious about  
14 this, you know, the federal people need to get  
15 their paycheck, you know, build-up.

16 So those were my two. I think  
17 inventory might be another idea and then the  
18 issue of maybe expanding this to, like, how do  
19 you pay for stuff in the meantime before  
20 there's an auction.

21 CO-CHAIR ROSSTON: Jennifer?

22 MEMBER WARREN: Just something

1 with respect to the next meeting. I think a  
2 number of us at least in the Working Group  
3 Five were very impressed with one of the  
4 technology presentations and perhaps that  
5 might be worthwhile because it's down as  
6 something that was recommended perhaps for  
7 future, you know, to incorporate into future  
8 analysis and that's the time-based sharing.

9 The license-shared access - I  
10 think Kevin mentioned it as well - it was very  
11 impressive what - I'm going to mention one  
12 vendor. There may be others, but Nokia  
13 Siemens presented and that might be worthwhile  
14 for the full CSMAC to see.

15 CO-CHAIR ROSSTON: Dale?

16 MEMBER HATFIELD: I was going just  
17 to add to what - I've already made my pitch  
18 before on the enforcement issue and I would  
19 personally recommend adding something in  
20 regarding enforcement.

21 MEMBER OBUCHOWSKI: I would  
22 support that. Thanks, Dale.

1 MEMBER HATFIELD: I second that.

2 MEMBER WARREN: I third it.

3 CO-CHAIR ROSSTON: Not surprising  
4 that people agree with Dale. Carl?

5 MEMBER POVELITES: I saw that  
6 we're now ahead on the agenda.

7 CO-CHAIR ROSSTON: No, we're on  
8 time on the agenda. We're in the middle of  
9 the discussion we're supposed to be having.

10 MEMBER POVELITES: Yes. I thought  
11 I'd take a step back just for my own  
12 clarification on what - on the next steps.

13 I know that you have a transition  
14 plan that you're required to file by January  
15 of 2014, I believe, based on the FCC's letter  
16 to you making available the 1755 or 1780 band.

17 So how can we, through the process  
18 for final reports and everything, help you all  
19 out and maybe concentrating on that band,  
20 looking at compression, looking at relocation?

21 Because it seems to me you have a  
22 really short amount of time in order to do

1 that and in the interim it may be something  
2 that the working groups can at least take on.

3 Maybe it's even looking at the  
4 industry framework that the three companies  
5 put together. I'm just trying to figure out  
6 how we can help you with your - in the next  
7 steps.

8 MR. NEBBIA: I think the primary  
9 thing is trying to complete the activities  
10 that we've been doing.

11 I think there will certainly be  
12 discussion here or elsewhere on the roadmap  
13 concept and how do we - how do we sort all  
14 this out.

15 But I think from my standpoint, I  
16 think trying to resolve and improve upon the  
17 work that's been done here I think is the  
18 immediate crisis.

19 We're going to have to figure out  
20 how we move the process forward, comparable  
21 spectrum issues, the transition plans and so  
22 on.

1 I'm not sure that's something that  
2 you're going to be able to actually help us  
3 with. But if we can come to better, I think,  
4 defined solutions then that gets us into what  
5 the commission is going to have to ultimately  
6 draft up as here's what we're going to be  
7 auctioning. Here's what we're going to be  
8 providing. That gets us closer there.

9 MEMBER POVELITES: Would that  
10 include then the aggregate effect of all the  
11 activity - AMT, JTRS? You know, what's the  
12 aggregate effect going to be because that's  
13 something we're going to need to know as  
14 potential bidders.

15 MR. NEBBIA: Well, I think  
16 certainly - I mean, that's true. You're going  
17 to be looking at what the final end result is  
18 and that end result in any case is going to be  
19 a combination of things that stay permanently,  
20 things that stay temporarily.

21 There's always a transition.  
22 Nobody walks out on day one, and then this -

1 what the sharing arrangements are and then how  
2 long people are taking to move out.

3 But so I think that's going to go  
4 on in these discussions of various approaches  
5 to road maps and I don't think it's going to  
6 be only industry that has ideas there.

7 But so at least from my standpoint  
8 we would like to see the groups that we have  
9 fine tune as best they can these outcomes so  
10 that we can take that into these other  
11 processes.

12 CO-CHAIR ROSSTON: Kevin, Dennis  
13 and then Tom.

14 MEMBER KAHN: Yes, I was going to  
15 come back to your list of future topics. I  
16 don't know if I'm taking this off the path or  
17 on the path.

18 But I was just going to observe  
19 that in the context of the comment I made  
20 before about advanced sharing techniques, one  
21 of the things the FCC TAC has on its plate  
22 this go around is the near and dear old topic



1 of COTS and use of commercial off-the-shelf  
2 technology and how - et cetera.

3           And while that probably is not  
4 applicable to, you know, certainly, the more  
5 exotic DoD requirements but for the government  
6 as a whole to the extent we could find or  
7 encourage systems that can be on common  
8 platforms in the future to be on common  
9 platforms whether they're government systems  
10 or civilian systems and for a lot of, you  
11 know, just domestic communication kind of  
12 systems you probably can, it seems to me that  
13 some of these sharing problems long term for  
14 the government and also your notion about, you  
15 know, federal spillover into non-federal  
16 bands, a lot of those things become a lot  
17 easier.

18           And so I wonder whether one of the  
19 topics somewhere, you know, kind of queued up  
20 - as I say, the FCC is already looking at this  
21 for some, you know, I think with an eye mostly  
22 toward commercial use of commercial systems -

1 I mean, you know, for quasi-commercial like  
2 power systems and things like that.

3 But, you know, is that something  
4 that we should be looking at on this side of  
5 the house as well with the motivation being  
6 that the more common things we can get at  
7 least for that set of applications the sharing  
8 problems, the flexibility problems get a lot  
9 easier, just for your list.

10 MEMBER TRAMONT: Kevin, we did do  
11 a - I know, I'm sorry. But we did do a report  
12 on commercial adoption of - sorry. We were  
13 just going to follow up and update that.  
14 Sorry, sorry, sorry.

15 MEMBER KAHN: Yes. I mean, it's  
16 just since the FCC is back on this tack again  
17 I just figured I'd put it on the table then.

18 CO-CHAIR ROSSTON: Dennis?

19 MEMBER ROBERSON: This is sort of  
20 an adjunct to the fourth item, the spectrum  
21 management via databases. I think the broader  
22 topic that needs to be addressed is the whole

1 notion of data sharing between government and  
2 industry.

3 And as just pointed out, it's not  
4 just DoD either. There's a lot of other uses  
5 of the spectrum that are not DoD uses but that  
6 preserve the sensitivity, particularly of - or  
7 the security of sensitive data but enables  
8 sharing.

9 That's an increasingly important  
10 topic and it really does fit very much with  
11 the presidential memorandum and the discussion  
12 that we had here.

13 But the techniques - how do you  
14 sufficiently obfuscate the data that you're  
15 not divulging secure information while at the  
16 same time providing the necessary information  
17 to allow sharing to take place.

18 And I think there are means by  
19 which that can be done.

20 MEMBER OBUCHOWSKI: I would  
21 absolutely second that. You know, it's -  
22 there's so many billions of dollars going into

1 cyber issues in our country and rightfully so.

2 Well, you know, this sharing is  
3 just another area of great vulnerability if  
4 not done properly. If done properly, of  
5 course, it advances us.

6 So I think ways to develop that  
7 are well worth funding. So thanks for that  
8 suggestion.

9 CO-CHAIR ROSSTON: Okay. Tom?

10 MEMBER SUGRUE: I want to reiterate  
11 what Karl said and I hope the process on the  
12 most important 25 megahertz, which is on the  
13 table right now which is a \$15 billion  
14 opportunity, I'm afraid we're as a country  
15 about to squander if we don't get this right.

16 At least the dialogue can continue  
17 past the delivery of the CSMAC reports next  
18 month. I don't think, given where we are,  
19 we're going to crack the nut completely.

20 I realize everything has to come  
21 to an end even as much fun as this is, right?  
22 But there is a report in January. I think

1 it's perfectly appropriate for NTIA to  
2 continue to engage with stakeholders on both  
3 sides of that. That's always been a function  
4 NTIA has performed.

5 We sort of welcome the opportunity  
6 along, I'm sure, with our colleagues in the  
7 industry to have that talk. We have  
8 information as well to share on this and I've  
9 devoted a lot of work and effort to it.

10 So it's - and then, finally, you  
11 know the old saying about don't let, you know,  
12 the perfect become the enemy of the good, I  
13 mean, I am concerned and focusing on - we're  
14 going to have this grand thing and a ten-year  
15 plan we're going to let the perfect become the  
16 enemy of the very, very, very good, which is  
17 a very important, you know, first step to  
18 take.

19 And you can't - maybe - you can't  
20 just focus on short term but you can't ignore  
21 the short term. You know, I mean, in the long  
22 term we're all dead and we have an opportunity

1 right here to do something constructive.

2 And my final point is, you know,  
3 something I hear about the ten years and the  
4 president's - the president say 500 megahertz  
5 in ten years and not a day sooner than ten  
6 years. That's not what he meant.

7 He meant let's do it within five -  
8 in ten years but sooner if possible and that's  
9 what the point of our sort of concession on  
10 the ten years was. We'll take the outer date  
11 and say we won't be pressing for anything  
12 sooner.

13 So let's try to work through that  
14 constructively and we look forward also to  
15 dialogue with our friends in DoD and the other  
16 agencies as well.

17 MEMBER ROBERSON: This ten years  
18 is actually outside the president's window.  
19 Ten years from now is ten years starting a  
20 couple years ago.

21 MEMBER SUGRUE: A couple years  
22 ago, yes.

1                   MEMBER WARREN:   So I wanted to go  
2                   back to possible work areas.   I looked at my  
3                   notes from when Teri presented and she talked  
4                   about the trusted agent concept.   It's on this  
5                   agenda.

6                   And she had a question or two  
7                   about what could the private sector do but  
8                   then, you know, was looking for other  
9                   examples.

10                  Is there value that the CSMAC  
11                  could bring to actually trying to define some  
12                  recommendations for a trusted agent concept?  
13                  And I don't mean one a year from now but I  
14                  mean, you know, on an expedited basis with all  
15                  the different types of stakeholders that are  
16                  here and at the other agencies, DoD and  
17                  others, could come together.

18                  We could do a little, you know,  
19                  tiger team on that and see if we could come up  
20                  with something, even if it's just a set of  
21                  options to choose from but that's agreeable to  
22                  everybody.

1                   So I wanted to put that out maybe  
2                   for an expedited approach. Thank you.

3                   CO-CHAIR ROSSTON: Thank you. Are  
4                   there people on the phone who would like to  
5                   jump in?

6                   MEMBER ALDER: Sure. This is  
7                   Larry Alder. I just wanted to say I think  
8                   that this work that you guys have been doing  
9                   with the 1755 has been great but I - and I'm  
10                  seconding that it needs to continue and  
11                  conclude.

12                  But I do welcome the opportunity  
13                  to study some new elements because for some of  
14                  us it's been hard to participate in all the  
15                  details of the working group.

16                  So I think it would be good to  
17                  kick off some new elements and one thing that  
18                  would be important is that we do something  
19                  that has some tangible value so Karl and the  
20                  people at the NTIA could help shape some of  
21                  these things.

22                  I mean, for example, one of the



1 areas that I've been interested is the use of  
2 these databases to do things like time-based  
3 coordination, and we could do something in the  
4 abstract on that.

5 But it would be great to, you  
6 know, find something that really applies to a  
7 particular band or a particular problem if the  
8 NTIA wants to solve very near term.

9 CO-CHAIR ROSSTON: Great. Thanks.  
10 So there's been a lot of ideas in addition to  
11 the - in addition to the five that were listed  
12 here.

13 I think it would be really helpful  
14 to Karl and his team if you could follow up  
15 your ideas with two or three sentences at  
16 least about sort of what you think the project  
17 should be that - and send those to Karl and me  
18 and Bruce to make sure that we get a better  
19 idea and a better description of what they are  
20 and that the people that we can sort of  
21 circulate these ideas among the committees so  
22 that we're ready to discuss it in July on

1 that.

2 Great. So we are now dead on time  
3 for opportunity for public comment. So we're  
4 right on time.

5 So first, I'm going to go - anyone  
6 in the room and then I'll come to the phone  
7 but anyone in the room who would like to make  
8 a public comment? There's opportunity for  
9 public comment in the room.

10 Okay. Anybody on the telephone  
11 for a public comment?

12 Okay. Great. Before we adjourn  
13 let's make sure that everybody is aware that  
14 Karl has an award coming up.

15 (Applause.)

16 MR. NEBBIA: I want to personally  
17 invite everybody that if you'd like to buy a  
18 ticket from FCBA and you may come and enjoy.

19 CO-CHAIR ROSSTON: Great. All  
20 right. Meeting adjourned. Thank you.

21 (Whereupon, the above-entitled  
22 meeting concluded at 3:42 p.m.)

<b>A</b>				
<b>ability</b> 36:14 73:10 80:2 83:1 93:7,11 159:19	65:11 71:17 107:19 123:6 137:15 172:17	170:21 171:6 182:16 183:16	<b>allow</b> 12:11 22:7 57:12 151:12,17 159:8 167:9 179:17	8:5 <b>answer</b> 30:2 78:9 159:10
<b>able</b> 6:2 15:6 17:1,8 22:15 23:12 27:8 29:5 31:12 34:22 35:7 36:3,14 37:13 40:12 45:8 51:5 66:8 75:16 77:11 92:20 95:19 99:15 100:18 111:9 151:4 161:20 162:3 167:14 175:2	<b>added</b> 24:18,22 59:16 70:16 73:22	<b>agency</b> 32:1,2,3 33:16 50:14	<b>allowance</b> 168:8 <b>allowed</b> 27:19 82:18	<b>answers</b> 20:6 <b>antenna</b> 61:1 66:22 96:22 98:16,20 135:10,16
<b>ably</b> 6:21	<b>adding</b> 172:19	<b>agenda</b> 153:8 173:6 173:8 183:5	<b>alluded</b> 114:21	<b>antennas</b> 98:18
<b>above-entitled</b> 186:21	<b>addition</b> 57:15 170:6 185:10,11	<b>agent</b> 3:8 31:11 33:17 37:14 38:3 38:10,12,22 39:4 39:10 45:9 65:7 183:4,12	<b>all-of-government</b> 36:14	<b>anticipate</b> 158:13
<b>absence</b> 87:20	<b>additional</b> 23:20 47:17 50:4 51:20 59:22 62:17 65:10 76:19 100:19 109:9 111:18 119:1 120:5 137:1 157:9,15 158:7 165:5,17	<b>agents</b> 62:16	<b>alteration</b> 137:1	<b>anybody</b> 24:18 25:5 27:6,13,15 27:16 28:10 52:19 66:5 128:2 186:10
<b>absolutely</b> 27:4 179:21	<b>address</b> 79:12	<b>aggregate</b> 175:10 175:12	<b>alternate</b> 156:1	<b>anybody's</b> 44:10
<b>abstract</b> 185:4	<b>addressed</b> 100:8 104:14 178:22	<b>agnostic</b> 108:9	<b>alternatives</b> 147:19	<b>anyone's</b> 155:20
<b>access</b> 42:11 85:6 99:21,22 124:10 134:1 159:15 172:9	<b>adequate</b> 17:1 50:22	<b>ago</b> 46:4,6 52:18 69:21 122:17 144:7 169:2,2 182:20,22	<b>amazing</b> 52:11	<b>anyway</b> 15:12 36:21 52:13 58:15 68:9 124:2 169:4
<b>accessible</b> 66:5	<b>adjourn</b> 186:12	<b>agree</b> 109:5 147:15 173:4	<b>American</b> 10:21 12:7	<b>apologize</b> 69:22 90:2
<b>account</b> 168:6	<b>adjourned</b> 186:20	<b>agreeable</b> 183:21	<b>AMF</b> 132:9,15,20	<b>apologizing</b> 69:2
<b>accountable</b> 39:20 40:3,4	<b>Adjournment</b> 3:22	<b>agreed</b> 50:12 55:19 103:8,20 106:1,4	<b>amount</b> 72:4 74:22 163:4 173:22	<b>apparently</b> 46:7 94:10 143:11
<b>accumulated</b> 34:12	<b>adjunct</b> 178:20	<b>agreement</b> 26:21 28:21 29:10 69:7 105:12 155:9	<b>amplify</b> 76:9	<b>appear</b> 77:5 116:4 125:5
<b>accusatory</b> 125:18	<b>adjusted</b> 158:20	<b>agreements</b> 149:22	<b>AMS</b> 122:15	<b>Applause</b> 4:9 186:15
<b>acquisition</b> 22:1	<b>administration</b> 12:18 13:11 121:17	<b>ahead</b> 16:4 23:11 23:13 37:17 43:11 66:16 71:15 74:8 75:20 76:4 87:2 161:6 167:12 168:11 173:6	<b>AMT</b> 105:12,17 106:9,14,22 108:14 116:15 135:3 175:11	<b>applicable</b> 80:12 177:4
<b>acquisitions</b> 22:2	<b>administrative</b> 6:11	<b>Air</b> 130:5	<b>analogy</b> 144:6	<b>applications</b> 178:7
<b>acronym</b> 36:22	<b>administratively</b> 25:17	<b>airborne</b> 102:7 105:17 109:17 115:5 130:16 132:16 138:16	<b>analyses</b> 74:20 75:13,21 95:2 96:18 109:1 113:9 120:5	<b>applies</b> 185:6
<b>action</b> 49:16	<b>admittedly</b> 142:9	<b>air-to-ground</b> 135:6	<b>analysis</b> 17:1 22:15 22:16 75:7,9 76:6 78:3,6 80:8 95:4 96:19 98:19 103:22 108:19 109:10,20 110:7 115:3,12,16 116:4 135:15 138:15,20 142:8,10,18,22 144:2,18 148:10 172:8	<b>apply</b> 98:12
<b>active</b> 26:9,13	<b>adoption</b> 178:12	<b>Alder</b> 2:2 9:3 184:6 184:7	<b>AMS</b> 122:15	<b>appreciate</b> 7:13 14:5,13,20 15:14 39:18 40:18 44:11 45:5,13 89:21 90:8 102:18 105:21 124:6,17 166:3 168:12
<b>actively</b> 27:6	<b>advanced</b> 148:21 150:15 151:17 176:20	<b>Alder's</b> 9:3	<b>AMT</b> 105:12,17 106:9,14,22 108:14 116:15 135:3 175:11	<b>approach</b> 15:21 41:8 71:7 81:11 81:13 82:10 95:16 103:20,20 104:3 131:4 132:18 134:5,18 135:1 145:20 167:9 184:2
<b>activities</b> 108:9 174:9	<b>advances</b> 180:5	<b>alleviate</b> 21:3	<b>AMS</b> 122:15	
<b>activity</b> 111:5 175:11	<b>advantage</b> 98:20	<b>allocation</b> 131:18	<b>AMS</b> 122:15	
<b>ACTS</b> 130:5	<b>advertised</b> 122:8		<b>AMS</b> 122:15	
<b>actual</b> 4:14 50:8 94:8	<b>ADVISORY</b> 1:4		<b>AMS</b> 122:15	
<b>adamant</b> 82:16	<b>aerial</b> 109:16 116:2		<b>AMS</b> 122:15	
<b>add</b> 25:4 41:1	<b>afraid</b> 180:14		<b>AMS</b> 122:15	
	<b>agencies</b> 8:2 11:18 23:6 34:21 141:12		<b>AMS</b> 122:15	

<b>approached</b> 106:18	<b>associated</b> 131:15	81:10 82:20,22	<b>base</b> 47:2,22 49:20	138:7 165:20
<b>approaches</b> 23:17	145:11	85:17 87:10 91:22	54:2 134:10	<b>benefits</b> 10:21
43:22 176:4	<b>ASST</b> 4:14 127:15	93:10 99:20 100:3	<b>based</b> 24:20 70:17	<b>best</b> 60:13 166:2
<b>approaching</b> 105:4	127:19	104:12 117:2	71:2 72:13 78:4	176:9
<b>appropriate</b> 42:12	<b>assume</b> 77:9	118:17 123:16,20	83:7 103:3,16,20	<b>better</b> 6:4 37:16
83:21 128:15	<b>assumption</b> 21:12	125:21,22 126:3,5	105:8 106:10,11	115:8 175:3
144:20 181:1	118:2 167:7	127:4,22 129:8	106:19 107:12	185:18,19
<b>approved</b> 157:1	<b>assumptions</b>	132:13 140:15	109:6,8,8,19	<b>beyond</b> 104:16
<b>apps</b> 12:7	103:12 105:8	148:15 164:16	113:8 116:3,13	139:3,20 143:11
<b>April</b> 59:21	109:7 130:9	165:9 173:11	123:3 130:8 134:5	145:14
<b>area</b> 24:19 38:20	<b>attitude</b> 68:2	176:15 178:16	140:22 155:12	<b>bid</b> 19:8 66:15,17
70:20 76:18 97:2	<b>AT&amp;T</b> 41:7 113:18	183:2	173:15	<b>bidders</b> 175:14
134:16 159:5	<b>auction</b> 57:9 58:21	<b>backdrop</b> 102:22	<b>baseline</b> 49:4	<b>big</b> 12:14 19:12
180:3	76:3 83:7 87:5	104:21	<b>basic</b> 46:18	41:13 45:7 124:5
<b>areas</b> 16:17 34:22	88:11 89:10 99:16	<b>background</b> 70:5	<b>basically</b> 10:9	169:9
46:18 51:11 58:18	113:5 122:16	72:15 75:17 78:14	24:10 29:14 42:16	<b>biggest</b> 12:4 121:5
73:8,9,19 74:5	126:2 170:19	99:12	45:22 46:17 49:22	121:11
75:22 83:2 84:3	171:4,20	<b>backward</b> 27:11	50:16 55:18 76:2	<b>billion</b> 180:13
86:8 88:2 93:16	<b>auctioned</b> 169:2	<b>backwards</b> 21:16	85:5 96:19 100:3	<b>billions</b> 179:22
93:20,21 95:3	<b>auctioning</b> 175:7	<b>baked</b> 90:1	105:13 134:11	<b>bit</b> 6:16 31:14
97:10 115:16	<b>auctions</b> 13:4	<b>balanced</b> 16:2	147:20	42:21 47:19 66:10
133:14,17 135:21	113:10 167:2	<b>ball</b> 30:18 41:11	<b>basis</b> 22:5 28:11	69:12 72:8,15
163:20 169:1	<b>aura</b> 121:19	42:5 159:6	50:18 51:3 56:14	74:10 75:8 76:21
183:2 185:1	<b>availability</b> 115:2	<b>band</b> 44:9 50:19	56:22 57:18 61:18	78:5 83:15 90:4
<b>arm</b> 121:14	<b>available</b> 62:18	52:19,21 53:4	67:19,21 141:6	93:13 94:19 97:20
<b>Army</b> 74:2,3 133:5	67:4 73:7 173:16	56:14 58:17 60:22	142:1 155:19	98:14 111:11
133:5	<b>avenue</b> 1:20 37:7	68:6 77:21 78:16	183:14	112:10 122:10
<b>arrangement</b> 28:12	<b>avoid</b> 134:11	79:18 80:13 84:3	<b>beam</b> 96:22	124:19 132:18
31:11 37:14 58:1	<b>avoids</b> 129:20	84:7 92:10 106:11	<b>bear</b> 62:15 80:21	141:9 145:21
<b>arrangements</b> 39:9	<b>award</b> 4:6,11 9:16	106:14 108:10,11	136:4 141:16	169:8
39:9 176:1	15:12 125:11	114:16 117:12	<b>beat</b> 52:13	<b>bite</b> 113:3
<b>asked</b> 24:13 41:15	186:14	122:6,8,9 132:22	<b>bedeviled</b> 114:21	<b>block</b> 41:3 47:12
124:7 149:8	<b>awards</b> 5:1	133:2,8 141:1	114:22	<b>blood</b> 170:22
<b>asking</b> 9:10 25:18	<b>aware</b> 89:15 186:13	143:7,8 144:10	<b>begs</b> 111:16	<b>blush</b> 158:17
117:1 126:3	<b>awful</b> 92:14	146:16,18 148:8	<b>begun</b> 159:7	<b>board</b> 5:7,8 110:21
156:21	<b>AWS</b> 71:8	154:16 155:15	<b>behoove</b> 147:12	<b>bodies</b> 151:15
<b>aspect</b> 73:18 122:4	<b>A-G-E-N-D-A</b> 3:1	173:16,19 185:7	<b>behooves</b> 146:19	<b>body</b> 157:2
<b>aspects</b> 23:7		<b>bands</b> 7:18 44:8,13	<b>believe</b> 4:10 58:7	<b>bonded</b> 147:20
<b>assembling</b> 13:9	<b>B</b>	77:10 80:20 89:2	75:12 106:4	<b>BORTH</b> 2:3 85:22
<b>assess</b> 52:4	<b>B</b> 2:18	110:10 111:6	122:17 123:8	86:6,16,21
<b>assessing</b> 51:1	<b>back</b> 8:3 16:20 17:4	131:13,13,16,20	126:5 132:5 139:5	<b>bottom</b> 21:18 74:15
<b>assessment</b> 145:16	17:20 18:7 20:17	132:2,7 138:21	156:3 173:15	82:9,22
<b>assessments</b> 60:7	20:21 22:15,19	140:12 141:11	<b>believed</b> 139:2	<b>Boulder</b> 161:15,17
<b>assign</b> 88:14,15	29:22 33:12 35:13	145:12 156:1,5	<b>believes</b> 52:12	161:18,19
<b>assignments</b> 79:13	38:13 42:13 53:2	168:15 169:1	<b>beneficial</b> 119:13	<b>bound</b> 83:6
101:5,11 134:6	55:6 59:21 70:5	177:16	<b>benefit</b> 70:21	<b>boundaries</b> 149:17
<b>Assistant</b> 2:15	74:7,22 75:19	<b>Barring</b> 20:22 23:9	136:15 137:10	<b>bounds</b> 158:8

<b>box</b> 160:20	92:3,4,4,5 93:18	<b>cases</b> 89:6 146:16	<b>changed</b> 48:4 56:10	<b>close</b> 61:8 144:5,9
<b>brain</b> 43:16	94:1,21 95:15	160:6 163:22	<b>changes</b> 20:20 22:8	155:3 162:4
<b>brainstorming</b>	96:4,14 99:10,19	<b>category</b> 4:11	57:12	163:11
118:5	100:2,5 166:13	<b>cause</b> 52:6	<b>channels</b> 134:14	<b>closer</b> 14:10 145:22
<b>break</b> 153:4,10,13	<b>bullets</b> 57:4 76:8	<b>caution</b> 148:9	149:4,9 150:1	175:8
161:4 169:6	166:12	<b>cautioned</b> 51:21	<b>characteristics</b>	<b>closure</b> 46:7 161:21
<b>breakthrough</b>	<b>bullet's</b> 100:21	55:14	68:8 140:22	<b>clutter</b> 91:9 96:21
121:11 122:7	<b>bullshit</b> 111:12	<b>cautions</b> 55:5	<b>charge</b> 45:17	98:11 135:2,4,7
123:1,10	<b>bumping</b> 58:13	<b>caveat</b> 131:19	156:16	135:14
<b>Brian</b> 87:13	<b>bunch</b> 16:6 46:9	156:8	<b>CHARLES</b> 2:11	<b>Coast</b> 143:16
<b>brief</b> 69:5,10	59:17	<b>caveats</b> 56:19	<b>Charlie</b> 9:6 45:20	<b>codify</b> 71:11 81:19
153:21	<b>bureaucracy</b> 6:2	131:15 140:18	58:9,9 59:2,4	81:20
<b>briefing</b> 54:7	<b>business</b> 11:21 19:4	157:8	<b>Charlie's</b> 46:15	<b>cognizant</b> 33:11
<b>briefings</b> 57:2	19:7,13	<b>cell</b> 61:8	<b>chart</b> 115:17	<b>collaboration</b>
<b>briefly</b> 45:21	<b>buy</b> 186:17	<b>cellular</b> 147:20,21	130:12,14	10:17
<b>briefs</b> 102:8	<b>buys</b> 125:2	149:2	<b>charts</b> 54:20	<b>colleagues</b> 181:6
<b>bring</b> 10:21 22:15		<b>cents</b> 41:17,19	<b>check</b> 29:22	<b>collectively</b> 102:14
38:22 44:14 170:1	<b>C</b>	<b>certain</b> 24:19 28:5	<b>checked</b> 140:16	<b>column</b> 74:1
183:11	<b>C</b> 1:19 2:8	149:9	160:21	<b>Combat</b> 130:5
<b>bringing</b> 39:6	<b>calculations</b> 158:20	<b>certainly</b> 30:4,15	<b>chief</b> 2:18 3:6 4:20	<b>combination</b> 72:17
<b>broadband</b> 5:8	<b>California</b> 5:5	31:15 32:8 44:3	5:4	175:19
13:8 41:4	<b>call</b> 15:19 36:19	61:21 63:19 64:3	<b>chips</b> 12:4	<b>combine</b> 115:4
<b>broadcast</b> 141:21	109:17 132:7	64:4 68:2 129:18	<b>choose</b> 183:21	<b>combined</b> 74:3
<b>broadcasting</b> 8:12	<b>called</b> 10:9 25:9	149:1 165:1	<b>circulate</b> 162:2	<b>come</b> 7:10 14:3
<b>broader</b> 178:21	36:19,20 81:16	168:11,18,22	185:21	15:6 17:20 23:1
<b>brought</b> 136:4	<b>camera</b> 148:5	169:16 174:11	<b>circulated</b> 26:18	30:16 43:16 44:6
<b>Bruce</b> 185:18	<b>capability</b> 33:4	175:16 177:4	<b>city</b> 142:12,15	75:10 103:11
<b>Bryan</b> 2:13 87:15	<b>capable</b> 66:13	<b>certification</b> 134:3	<b>civilian</b> 177:10	111:2,9 123:21
101:22 102:13	92:20	<b>cetera</b> 113:12	<b>claimed</b> 88:9,10,12	124:21 125:21,22
105:2 112:14	<b>capture</b> 133:16	177:2	<b>clarification</b> 28:3	145:6 153:22
<b>bubbles</b> 43:16	<b>captured</b> 67:7	<b>chair</b> 8:4	173:12	161:20 163:5,6
<b>buffer</b> 39:5	116:10	<b>Chairman</b> 161:1	<b>clarify</b> 118:15	168:1 175:3
<b>build</b> 6:18 12:9	<b>care</b> 6:13	<b>challenge</b> 16:18,21	123:12	176:15 180:20
52:5,13	<b>cares</b> 126:7	18:18 25:20 34:18	<b>class</b> 29:8	183:17,19 186:6
<b>building</b> 1:20 13:14	<b>Carl</b> 2:9 38:1,2	40:11 58:15	<b>classified</b> 63:12,14	186:18
129:11	76:11 106:6 173:4	<b>challenged</b> 102:2	166:17	<b>comes</b> 64:6 100:5
<b>builds</b> 7:8	<b>carrier</b> 64:7 70:22	<b>challenges</b> 11:5	<b>clauses</b> 131:11	107:6
<b>build-out</b> 53:19	81:15 99:16	18:5,13 33:9	<b>clear</b> 27:12 32:7	<b>comfort</b> 53:19
64:16	<b>carriers</b> 60:3,11	<b>championships</b>	117:7,15 125:3	113:20
<b>build-up</b> 171:15	64:8,19 66:11	56:3	128:11 139:18	<b>comfortable</b> 83:13
<b>built</b> 53:4,12	67:15 71:3	<b>chance</b> 16:12	150:11 152:15	<b>coming</b> 27:14
<b>bulk</b> 35:16 101:16	<b>carrying</b> 35:16	<b>change</b> 57:19 58:2	<b>clearances</b> 34:5	147:6 150:16
<b>bullet</b> 54:21 69:13	<b>case</b> 28:6 58:12	58:22 68:8,15	63:16 64:1	151:6 154:20
71:15 72:11 73:16	89:1 110:7 114:19	109:7 113:19	<b>clearly</b> 17:6,11	158:14 164:18
74:13,14 79:15	115:3 116:8 123:4	123:14 131:17	32:9,22 35:6	165:3 186:14
81:11,18,22 82:15	131:1 149:6 160:5	135:16 140:17	166:13	<b>comment</b> 3:18
84:2 90:18 92:1,2	160:7 175:18	163:9	<b>clock</b> 41:6	112:13 116:20

139:8,10 176:19 186:3,8,9,11 <b>commented</b> 49:5 <b>comments</b> 3:4 14:16,17,17 21:16 43:9 46:9,14 48:1 54:20 55:11,14 56:11 59:5,7 103:10 104:6,12 113:19 161:3 <b>Commerce</b> 1:1,3 1:19 2:16 36:11 <b>commercial</b> 45:12 47:22 56:15 70:18 82:19 84:4 87:19 88:3 89:12,14 91:13 92:7 94:7 106:2 133:21 134:7 147:12 149:20 177:1,22 177:22 178:12 <b>commission</b> 88:8 165:12 175:5 <b>commit</b> 125:5 <b>commitment</b> 112:22 <b>commitments</b> 113:19 <b>Committee</b> 1:4,18 <b>committees</b> 185:21 <b>committing</b> 165:22 <b>common</b> 177:7,8 178:6 <b>commonality</b> 115:13,14,14 <b>communicated</b> 112:5 <b>communication</b> 177:11 <b>Communications</b> 2:16 <b>compacted</b> 132:21 <b>companies</b> 19:3,11 20:9 21:10,22 26:5,8 32:14 38:5 38:7 42:7 164:12 174:4	<b>company</b> 19:9 126:14 <b>comparable</b> 79:14 131:3,5,9,14 140:11,21 141:13 142:21 144:10,19 146:9,11 154:2,5 154:7 155:11 165:2 174:20 <b>compensate</b> 87:6 <b>competition</b> 4:4 <b>complete</b> 115:14 174:9 <b>completed</b> 157:7 <b>completely</b> 66:12 66:20 124:17 180:19 <b>complex</b> 102:4 120:21 <b>compliment</b> 152:21 <b>component</b> 28:20 97:1 <b>compress</b> 84:13 93:11 94:2,6 95:20 96:1 <b>compressed</b> 107:1 132:21 <b>compressing</b> 72:18 <b>compression</b> 77:17 77:19 79:13 106:22 107:8 109:3,4 117:4,7,8 117:19,20 118:7,7 118:13 119:17 120:14 133:9 173:20 <b>compressions</b> 117:3 <b>comprises</b> 74:4 <b>compromising</b> 150:4 <b>concentrate</b> 34:2 71:4 <b>concentrated</b> 73:15 <b>concentrating</b> 173:19 <b>concept</b> 3:8 38:4,18	39:7 44:18 45:10 98:1 140:21 167:14 174:13 183:4,12 <b>concepts</b> 33:14 166:15 <b>concern</b> 19:1 83:4 143:1 145:8 147:17 149:14 150:16 <b>concerned</b> 32:8,18 113:7 181:13 <b>concerns</b> 15:20 108:6 141:19 147:15 165:1 <b>concession</b> 182:9 <b>concise</b> 156:14,19 <b>conclude</b> 184:11 <b>concluded</b> 155:14 156:5,6 186:22 <b>conclusion</b> 87:8 105:5,20 106:1,10 116:11 <b>conclusions</b> 106:19 108:4 109:9 110:5 110:8,8,21 111:7 119:5 <b>conditional</b> 86:13 <b>conditioned</b> 94:8 <b>conducting</b> 142:22 <b>confidence</b> 123:3 <b>confront</b> 128:21 <b>congested</b> 131:17 142:2 <b>conglomerate</b> 22:14 <b>congratulate</b> 4:5,8 <b>congratulations</b> 9:17 <b>Consequently</b> 69:9 <b>consider</b> 73:7 169:17,22 170:15 <b>considerable</b> 112:16 157:15 <b>consideration</b> 112:11 169:6 <b>considered</b> 107:10	157:10 <b>considering</b> 75:3 <b>consist</b> 116:17 <b>consistent</b> 72:19 73:10 80:1,3 81:6 81:14 94:6,7 100:16 125:17 159:21 <b>consistently</b> 37:17 <b>consolidation</b> 146:15 <b>constant</b> 113:10 <b>constituent</b> 145:13 145:15 <b>Constitution</b> 1:20 <b>constraint</b> 104:16 <b>construct</b> 57:7 58:20 <b>constructive</b> 182:1 <b>constructively</b> 182:14 <b>constructs</b> 37:12 <b>construed</b> 19:8 <b>consumer</b> 10:22 11:21 <b>contact</b> 57:14 <b>context</b> 76:17 77:18 95:19 96:16 128:17,19 133:19 134:4 157:4 176:19 <b>continue</b> 6:9 11:17 12:9 17:9 50:17 83:1 119:7 153:7 160:18 164:8 180:16 181:2 184:10 <b>continued</b> 85:6,7 86:8 164:6 <b>continues</b> 119:2 <b>continuing</b> 57:2 159:18 160:14 <b>contract</b> 151:2 <b>contractor</b> 43:17 43:19 <b>contractors</b> 63:15 <b>contrast</b> 42:2	<b>contribute</b> 35:22 <b>contribution</b> 15:2 <b>control</b> 26:1 <b>conversation</b> 30:7 91:17 155:4 <b>conversations</b> 136:8 155:5 <b>Cooper</b> 2:4 8:20,20 <b>cooperation</b> 91:16 91:18 <b>coordinating</b> 30:11 <b>coordination</b> 94:14 158:21 160:3,9,13 160:16 185:3 <b>core</b> 16:8 <b>Corps</b> 74:4 <b>correct</b> 138:17,22 139:6 140:2,5 142:9 <b>corrected</b> 24:15 103:12 <b>cost</b> 170:18 <b>costs</b> 87:7 <b>COTS</b> 177:1 <b>count</b> 4:21 126:20 153:10 <b>counting</b> 126:21 <b>country</b> 11:19 12:3 12:5,6 33:8 180:1 180:14 <b>couple</b> 8:8 14:15 20:3 21:16 37:8 54:11 56:6,7 104:5 115:20 140:16 141:16,17 141:17 153:18 157:8 162:9 182:20,21 <b>course</b> 7:12 9:22 40:22 114:12 146:10 180:5 <b>coverage</b> 60:13 102:15 143:15 <b>covered</b> 21:15 <b>covers</b> 133:4 168:4 <b>Co-Chair</b> 1:22 2:2 4:3 8:6,22 9:5,8
--	---	---	--	---

13:16 26:22 27:10 30:19 38:1 40:14 43:9 45:3 59:6 61:13 62:1,8,12 65:12 68:16 85:5 101:18 106:21 107:4,9 111:13 116:21 124:3 127:12,18 138:9 148:14 153:2,14 153:17 154:22 156:13 161:2 162:19 169:18 171:21 172:15 173:3,7 176:12 178:18 180:9 184:3 185:9 186:19	137:7 145:6,9 156:11 172:14 180:17 183:10 <b>CSMAC-run</b> 25:10 <b>CTIA</b> 122:9 123:6 123:18 130:3 154:14 <b>CTO</b> 126:11 <b>CTOs</b> 42:6 <b>culling</b> 27:14 <b>current</b> 103:17 130:9 <b>currently</b> 44:9 167:9 <b>cut</b> 27:3 <b>cyber</b> 33:9 180:1	132:10 138:9 155:17 <b>David</b> 2:3,5 136:11 <b>day</b> 16:13,14 60:10 64:18 142:1,1 162:18 175:22 182:5 <b>DBW</b> 58:14 <b>dead</b> 181:22 186:2 <b>deadline</b> 162:7 <b>deal</b> 5:20 47:3 89:16 102:9 167:22 <b>dealing</b> 43:20 46:1 49:8 129:21,21 <b>dealt</b> 44:15 100:22 <b>DEAN</b> 2:12 <b>dear</b> 176:22 <b>debate</b> 127:20 128:13 <b>decades</b> 151:21 <b>decide</b> 119:5 <b>decided</b> 120:6 <b>decision</b> 135:22 162:4 164:7 <b>decisions</b> 6:3 <b>deck</b> 97:16,16,17 <b>declare</b> 88:1 <b>deemed</b> 157:19 158:7,16 159:12 160:10 <b>defense</b> 2:17 4:21 14:1 31:15 45:11 47:14 129:19 142:17 <b>deferred</b> 75:11 <b>define</b> 183:11 <b>defined</b> 70:11 77:5 103:7 175:4 <b>definitely</b> 4:12 16:19 <b>definition</b> 76:12 <b>degree</b> 61:7 62:11 62:14 <b>deliberately</b> 119:16 <b>delivery</b> 180:17 <b>Democrats</b> 13:2	<b>demonstrate</b> 96:10 <b>demonstrated</b> 58:16 <b>demonstrates</b> 136:12 <b>Dennis</b> 2:10 62:9 62:14 85:15 111:13 156:15 161:3 176:12 178:18 <b>density</b> 67:10 <b>department</b> 1:1,19 2:17 4:20 14:1 45:11 47:14 52:3 52:19 63:8 104:20 113:6 129:19 131:7 142:17 <b>depending</b> 116:18 158:22 <b>depends</b> 147:9 <b>deploy</b> 84:22 111:3 <b>deployable</b> 110:4,6 <b>deployment</b> 70:18 76:19 82:1 83:19 94:7 95:16 105:15 <b>describe</b> 74:9 <b>described</b> 85:2 <b>description</b> 185:19 <b>deserved</b> 4:12 9:17 <b>designed</b> 65:7 90:14 <b>desirable</b> 159:12 160:10 <b>desire</b> 80:3 84:13 154:10,12 155:12 <b>desired</b> 76:19 134:20,21 <b>despite</b> 17:11,13 <b>detail</b> 39:8 41:10 54:12,13 72:10 82:8 160:12 <b>detailed</b> 30:17 59:10 97:4 164:2 <b>details</b> 21:7 33:19 50:2 53:16 54:12 160:16 184:15 <b>detector</b> 111:12	<b>determine</b> 104:3 160:15 <b>determined</b> 91:6,6 91:7 <b>determining</b> 98:11 137:16 <b>develop</b> 79:12 82:9 83:17 180:6 <b>developing</b> 164:20 <b>development</b> 134:2 <b>device</b> 66:7 <b>devices</b> 12:6 51:12 <b>devoted</b> 181:9 <b>dial</b> 56:5 <b>dialogue</b> 44:19 55:2 122:22 131:21 180:16 182:15 <b>difference</b> 45:8 77:16 88:22 93:5 <b>differences</b> 152:13 154:18 <b>different</b> 23:5 32:13,14 40:2 62:20 88:22 98:15 104:22 106:15,19 112:19 118:11 124:12 132:18 134:18 139:12 140:5 152:5 168:1 168:7 183:15 <b>differently</b> 106:18 128:9 <b>difficult</b> 5:20 59:1 85:16 100:13 149:15 <b>difficulties</b> 57:5,22 <b>dig</b> 90:5 95:9 <b>digital</b> 144:11 <b>dilemma</b> 40:10 <b>dilemma's</b> 48:19 <b>diligence</b> 66:16 <b>direct</b> 6:14 28:7 30:9 55:2,3,15 134:11 <b>direction</b> 61:3 116:18
<b>Co-Chairs</b> 3:4 <b>co-channel</b> 134:11 <b>crack</b> 180:19 <b>craft</b> 20:4 <b>crafted</b> 71:8 <b>create</b> 31:12 110:12 129:1 <b>created</b> 49:4 <b>creating</b> 67:14 <b>credibility</b> 121:16 126:15 <b>crisis</b> 174:18 <b>criteria</b> 64:10,13 91:8 96:11,20 98:13,14 100:5 <b>critical</b> 41:3 152:10 <b>criticality</b> 112:3 <b>CROSBY</b> 2:4 <b>cross</b> 25:3 149:16 149:18,19 <b>cryptic</b> 168:13 <b>CSEA</b> 88:20 <b>CSMAC</b> 1:4 3:9,15 4:4 8:14 9:10 16:22 22:16,22 25:9 26:11,12 29:15,17,18 32:21 56:9 119:1,8 120:7 136:2 137:6	<b>D</b> <b>Dale</b> 2:7 90:10 96:6 172:15,22 173:4 <b>damage</b> 40:7 <b>dangers</b> 145:11 <b>DANIEL</b> 2:12 <b>dark</b> 127:4 133:10 <b>data</b> 11:7 22:12,13 22:14 23:11,12 39:1,2 60:6,21 61:11,14 62:5 63:8,12,15,20 64:18 65:4,21 66:4,20 67:3,4,9 68:10 73:22 91:5 100:9 101:6,8 104:18 108:5 109:9 111:17 115:2 116:12,14 137:9,12 147:3 179:1,7,14 <b>database</b> 166:15 <b>databases</b> 166:17 166:18 178:21 185:2 <b>date</b> 11:3 162:22 163:6 182:10 <b>dates</b> 69:20 163:9 <b>daughter</b> 56:4 <b>Dave</b> 77:3 78:9			

<b>directional</b> 98:18 120:6	<b>distances</b> 104:3 105:13,16,21 116:15 130:7,21	<b>domain</b> 147:3 152:8	<b>E</b>	<b>elements</b> 184:13,17
<b>directions</b> 103:22 110:13	<b>distinction</b> 29:2,2,6 111:9	<b>Dombrowsky</b> 2:5 102:12 107:20,21 137:14 141:7 153:11,12,15,20	<b>E</b> 2:3,4,21	<b>eligible</b> 29:19
<b>directly</b> 10:4 28:15 30:14 67:11	<b>distinguish</b> 109:15	<b>domestic</b> 177:11	<b>earlier</b> 78:5 100:8 101:1 109:6 123:22 168:13	<b>embark</b> 152:12
<b>directors</b> 5:7	<b>divide</b> 102:9	<b>Donovan</b> 2:5 77:3,3 77:7 78:10,21 79:3,16,20 80:6 80:10,15,18 81:3 81:7 132:12 138:10,19 139:1 139:19,22 140:4 140:13,20 141:15 146:5 147:14	<b>early</b> 81:15 162:10 171:9	<b>emergencies</b> 142:3 143:16
<b>disagreements</b> 22:9	<b>dividends</b> 121:9	<b>door</b> 22:6	<b>ears</b> 155:20	<b>emergency</b> 148:7
<b>disappointed</b> 109:13	<b>divulging</b> 179:15	<b>dot</b> 117:18 146:7	<b>earth</b> 159:15 160:9	<b>emotional</b> 152:5
<b>disclose</b> 64:14	<b>DMA</b> 143:20	<b>double</b> 102:19 140:16	<b>EAS</b> 141:21 142:5 142:10,10 143:7,8 143:19 144:2 155:18	<b>emphasize</b> 148:18
<b>disclosed</b> 19:20	<b>doable</b> 121:7	<b>downtown</b> 70:20	<b>easy</b> 10:16 31:20 134:15 177:17 178:9	<b>employ</b> 40:1
<b>disclosure</b> 21:9 59:20	<b>DoD</b> 3:6 9:22 16:17 19:5,14 28:9,13 36:12,17 39:2 43:14 46:9 47:7 47:12,16 48:1 49:3,5,20 50:21 51:17 53:1,19 54:15 55:6,9 56:13 62:4 64:15 66:1 69:8,16 71:20 75:1,5 82:16 83:1,12 84:7,16 91:19 93:10,17 97:5 117:4,6,21 118:18 119:19 149:7,19 151:2 164:12 165:8 177:5 179:4 179:5 182:15 183:16	<b>draft</b> 22:6 103:16 115:22 136:17,18 145:2 175:6	<b>employee</b> 39:22 40:4	<b>employees</b> 29:16
<b>discrimination</b> 98:21	<b>DoD's</b> 43:16 46:14 51:13 55:16 61:17 73:10 80:2 133:6	<b>drafted</b> 140:17	<b>employees</b> 29:16	<b>enables</b> 179:7
<b>discuss</b> 113:21 149:16 185:22	<b>doing</b> 7:14,16 10:18 11:21,22 13:7 17:18 31:13 37:10 66:13,16 71:18 78:20 91:19 91:20 123:21 124:16 129:8 137:21 143:22 150:11 159:1 167:6 171:4 174:10 184:8	<b>drafting</b> 49:9 50:3 50:7 55:22	<b>encouraged</b> 106:7	<b>encompasses</b> 23:3
<b>discussed</b> 98:4,5 103:13 113:16 138:4 168:12	<b>dollar</b> 41:17,19,20	<b>drafts</b> 146:3	<b>encourages</b> 161:8 177:7	<b>encourage</b> 161:8 177:7
<b>discussing</b> 5:17 132:17 157:4	<b>dollars</b> 179:22	<b>drag</b> 14:9 141:18	<b>ended</b> 97:5 148:8	<b>encouraged</b> 106:7
<b>discussion</b> 5:12 6:6 7:11 22:20 23:5 23:16 25:22 28:7 28:13 30:5,17 31:2 45:2 62:15 75:2 82:11 93:13 97:3 100:6,22 111:19 112:16,20 121:8 150:21 152:7,12 153:7 155:8 156:10 166:9 169:20 173:9 174:12 179:11		<b>draining</b> 170:22	<b>enemy</b> 181:12,16	<b>enforce</b> 90:16
<b>discussions</b> 83:12 148:20 150:18 164:11,15 165:9 165:10 167:13 176:4		<b>drawn</b> 141:4,5	<b>enforce</b> 90:16	<b>enforcement</b> 90:12 90:14,20 91:15 92:12 96:6 172:18 172:20
<b>Disregard</b> 69:20		<b>drill</b> 108:22	<b>enforcement</b> 90:12 90:14,20 91:15 92:12 96:6 172:18 172:20	<b>engage</b> 113:14 181:2
<b>disrupted</b> 33:7		<b>drive</b> 137:11 150:18	<b>engaged</b> 11:13,14 30:13	<b>engagement</b> 129:2
<b>disruption</b> 113:11		<b>driving</b> 47:10	<b>engaged</b> 11:13,14 30:13	<b>engineering</b> 37:6 39:20
<b>distance</b> 108:15 116:6		<b>drop</b> 59:4	<b>engaged</b> 11:13,14 30:13	<b>engineers</b> 32:10 55:3
		<b>dry</b> 170:22	<b>engaged</b> 11:13,14 30:13	<b>enjoy</b> 186:18
		<b>DSS</b> 63:22	<b>engaged</b> 11:13,14 30:13	<b>enjoyed</b> 161:4
		<b>due</b> 13:22 108:5 116:11	<b>effectively</b> 20:5 37:5 40:7 117:6	<b>enlightened</b> 164:11
		<b>duh</b> 74:16,17	<b>effectiveness</b> 96:11	<b>enormously</b> 142:2
		<b>duty</b> 5:1 102:19	<b>effects</b> 98:16 135:2	<b>ensure</b> 17:17 19:3 19:21 20:6 39:21 74:19 83:17 92:6
		<b>dwelt</b> 93:4	<b>effort</b> 55:21 72:4 96:17 97:12 129:5 154:18 166:1,3 181:9	<b>ensuring</b> 40:5
		<b>dynamic</b> 37:20 121:22	<b>efforts</b> 160:14 167:5	<b>entire</b> 67:20 84:3 106:11 122:8 133:2,6,7 143:16 143:20
		<b>D.C</b> 1:21 4:16	<b>eight</b> 50:10 96:13	<b>entirely</b> 143:12
			<b>Eighty</b> 63:14	<b>entirety</b> 113:5
			<b>either</b> 22:7 29:3 87:11 88:3 97:15 107:18 117:11,22 130:10 138:5 155:18 158:15 179:4	
			<b>electronic</b> 46:2 47:4 50:9,12,17 55:18	
			<b>element</b> 145:15	



115:18	<b>exclusive</b> 128:12	<b>face</b> 5:16 40:11	89:6,8,12 122:20	<b>finite</b> 88:12
<b>entities</b> 138:21	<b>excuse</b> 148:13	<b>faced</b> 118:6	141:12 146:22	<b>first</b> 4:6,10 8:7 9:14
<b>entitles</b> 29:14	161:9,11 162:16	<b>facilitate</b> 65:7	167:22 170:21	14:19 34:2 45:16
<b>entity</b> 38:11 43:20	<b>execute</b> 10:12	<b>facility</b> 64:1 66:7	171:5,14 177:15	46:17 47:11 49:9
94:15	<b>executive</b> 15:17	<b>facing</b> 99:16	<b>Feds</b> 147:4	68:10 70:14 71:15
<b>entrance</b> 94:15	40:20	<b>fact</b> 17:11,13 20:2	<b>feed</b> 164:15 165:9	71:15 72:11 73:6
<b>entry</b> 81:15	<b>exercise</b> 65:3 66:12	20:14 31:12,22	165:11	73:10 74:16 82:15
<b>environment</b> 91:21	126:22	36:11 58:22 60:16	<b>feedback</b> 44:18	84:2 93:18 96:14
<b>envisioned</b> 94:11	<b>exhausted</b> 166:7	66:8,19 67:4,9	89:21 90:8 108:2	97:16 100:2,5
94:12	<b>existence</b> 89:15	68:22 79:8 93:9	<b>feel</b> 35:21 36:13	102:11 105:20
<b>EO</b> 15:22 37:4,11	<b>existing</b> 57:15	98:10 109:19	63:5 102:2 112:15	111:19 120:15
<b>equation</b> 57:20	64:10	110:17 111:8	153:5	127:14 129:4
<b>equipment</b> 30:8	<b>exists</b> 150:20	113:8 118:6 128:6	<b>feels</b> 88:5	133:18 138:11
114:14,15	<b>exotic</b> 177:5	131:13 156:20	<b>feet</b> 142:11	158:16 166:12
<b>equities</b> 70:8 97:9	<b>expand</b> 158:9	160:2 166:17	<b>Feldman</b> 2:22 8:19	167:13 181:17
97:10 98:17 152:6	<b>expanding</b> 171:18	168:7	8:19	186:5
<b>ESQ</b> 2:13	<b>expect</b> 61:13 66:14	<b>factor</b> 63:17 168:3	<b>felt</b> 16:1 48:1	<b>FirstNet</b> 5:7
<b>essence</b> 41:2	165:5	168:5	<b>field</b> 56:4	<b>fish</b> 87:11
<b>essentially</b> 28:13	<b>expectation</b> 49:16	<b>fair</b> 7:5 20:6,7	<b>figure</b> 36:21 60:12	<b>fit</b> 168:5 179:10
46:22 47:5 51:2	<b>expectations</b> 63:10	21:12 72:3 74:22	68:4 80:7 90:6,16	<b>fits</b> 159:22
56:12 66:11 78:13	<b>expected</b> 11:9	<b>fairly</b> 77:5 116:16	101:13 119:3,10	<b>five</b> 34:12 40:1
141:21 143:8,19	163:15	<b>fairness</b> 19:21	128:15 131:8	65:19 76:15 81:6
<b>establish</b> 73:18	<b>expecting</b> 48:18	<b>familiar</b> 65:22	174:5,19	82:14,15 101:10
74:6 92:5 93:19	<b>expedited</b> 183:14	<b>far</b> 6:4 29:9 165:19	<b>figured</b> 178:17	101:21 102:3
<b>establishing</b> 165:14	184:2	<b>far-ranging</b> 155:4	<b>file</b> 173:14	103:4,8,21 106:10
<b>estate</b> 64:11	<b>experiences</b> 16:13	<b>fashion</b> 17:14	<b>filed</b> 154:15	109:7 128:20
<b>esteemed</b> 146:19	<b>expertise</b> 10:20	<b>fashioned</b> 129:9	<b>final</b> 22:8 103:2	136:12 137:13
<b>et</b> 113:12 177:2	11:8 33:21	<b>FCBA</b> 4:6 186:18	145:6 173:18	155:6 156:4
<b>Europe</b> 53:5	<b>experts</b> 21:22	<b>FCC</b> 12:21 13:4,6	175:17 182:2	163:19 166:10
<b>event</b> 4:15 91:5	<b>explains</b> 72:16	50:20 58:10 86:6	<b>finalized</b> 69:6	167:6 169:8 172:3
92:6 142:18	<b>explore</b> 96:18	86:11,19 87:8,9	<b>finally</b> 18:6 71:6	182:7 185:11
147:17	119:1,22 151:4	88:13,16 91:19	83:16 94:21 96:8	<b>fixed</b> 160:8
<b>everybody</b> 6:8	<b>expressed</b> 116:9	146:19 147:12	100:7 101:3	<b>flagged</b> 115:21
27:12 130:8	<b>extend</b> 127:20	149:18 151:13	128:13 133:3	145:11 146:2
152:11 165:20	<b>extended</b> 126:18	164:21 176:21	135:10 160:1	<b>fleshed</b> 39:8
183:22 186:13,17	<b>extent</b> 11:3 66:14	177:20 178:16	181:10	<b>fleshing</b> 94:20
<b>exactly</b> 29:22 32:17	70:4 71:3 100:15	<b>FCC's</b> 173:15	<b>find</b> 5:15 7:4 10:19	<b>flexibility</b> 178:8
49:6 140:3 141:7	177:6	<b>feasibility</b> 105:11	36:2 43:7 100:19	<b>floating</b> 142:13
153:14	<b>external</b> 66:21	<b>feasible</b> 71:3 95:3	114:10 124:7	<b>floor</b> 59:5 134:22
<b>example</b> 37:1 84:9	<b>extra</b> 137:21	105:8 116:5 130:9	128:1 150:14	<b>flow</b> 113:12
91:8 100:17	<b>extremely</b> 14:18	130:22 133:12	151:15 164:6	<b>fluff</b> 70:16
105:16 155:17	15:5 111:22	151:5	177:6 185:6	<b>flying</b> 46:12 48:12
184:22	168:13	<b>February</b> 122:8	<b>fine</b> 87:21 126:22	<b>focus</b> 10:18 73:9
<b>examples</b> 183:9	<b>eye</b> 177:21	123:17	176:9	90:18 97:11
<b>excellence</b> 4:6,22	_____	<b>federal</b> 8:2 11:1	<b>finish</b> 127:13	120:13 129:8
<b>exclusion</b> 76:13	<b>F</b>	12:10 50:14 85:6	132:13 165:6	158:7 181:20
160:4	<b>FACA</b> 21:22 26:1	85:7 86:3 88:20	<b>finished</b> 137:2	<b>focused</b> 15:3 121:8

159:16	102:9 106:8	103:10,12 159:6,8	140:3	18:12,19,19,19
<b>focusing</b> 163:19	115:15 132:17	<b>future</b> 3:15 17:22	<b>gigahertz</b> 12:19,21	19:17 20:1,16
181:13	133:13 139:2	19:4 20:11 21:11	44:13 148:7	28:11,19,20 30:10
<b>folks</b> 11:12,13 20:3	145:19	22:1 23:17 25:5	155:15 167:7	30:18 32:11,12,19
21:20 24:14 25:2	<b>fourth</b> 130:14	31:6 37:20 74:8	<b>give</b> 21:6 35:20	32:22 34:19 35:8
25:4 39:3,20	178:20	76:21 81:5 82:12	42:10,11 46:15	35:9 37:7 43:1
80:19 112:19	<b>fowl</b> 87:11	87:2 95:6 96:13	53:18 56:7,20	44:20 45:1,7,17
117:4,18 118:18	<b>frame</b> 81:15 115:22	99:11 114:2	59:22 69:5 70:21	46:13 49:10,11,17
119:19 152:14	<b>frames</b> 72:13 94:5	115:12,16 133:15	72:10 118:19	49:21 50:1,6,6,8
<b>follow</b> 14:16 91:17	<b>framework</b> 57:7	148:1 166:6,9	127:9 153:7,12	51:8 52:6 53:8,15
119:6 178:13	88:22 174:4	169:16 172:7,7	163:1,4 168:21	54:5 56:1,7,21
185:14	<b>frankly</b> 31:21	176:15 177:8	169:5,7	57:6,21 58:22
<b>followed</b> 117:14	84:21 105:6		<b>given</b> 22:12 41:10	60:11,17,19 64:2
143:13 163:8	118:14 129:16	<b>G</b>	63:20 70:7 111:16	64:9,12,13,16
<b>following</b> 98:2	146:14 147:2	<b>gain</b> 96:22	112:9,11 134:13	67:2 70:2,3 71:13
141:10	154:3	<b>game</b> 72:3	180:18	74:9,10,15 78:11
<b>force</b> 66:10	<b>free</b> 112:15 121:10	<b>gather</b> 65:3	<b>gives</b> 159:10	82:5 83:8 89:4
<b>foregone</b> 87:7	153:5	<b>GEN</b> 2:21 21:14	<b>giving</b> 31:22	93:20 96:6 101:2
<b>foreseeable</b> 114:2	<b>freedom</b> 168:22	24:10	<b>glad</b> 5:11 161:4	101:20 102:17
<b>formed</b> 98:6	<b>frequencies</b> 60:5	<b>general</b> 19:16 21:6	<b>global</b> 114:18	104:16 105:18
<b>forms</b> 88:9	61:6 108:17	23:21 24:7 25:9	<b>globe</b> 114:9,13	108:3,5 115:5
<b>forth</b> 48:20 54:9,17	<b>frequency</b> 60:22	30:13 63:5 92:15	<b>go</b> 11:9 21:5 22:6	123:20 124:10,21
60:9 75:1,19	94:14 108:8	108:8 167:15	29:22 32:19 34:11	126:10 128:19
82:21,22	<b>Friday</b> 6:15 10:3	<b>generate</b> 49:1	44:16,19 46:17	129:12,13,14
<b>forum</b> 22:17	<b>friends</b> 182:15	<b>geographic</b> 134:4	50:15 53:2,15	136:9,22 137:22
<b>forward</b> 6:6 7:20	<b>front</b> 4:5 69:1	168:3	57:8 65:18 66:11	146:3,12 148:2
7:21 13:12 15:6	148:5	<b>geographic-based</b>	66:15 70:2,3,5,15	149:21 150:10
18:12,19 20:1	<b>FTC</b> 12:19	133:19	71:15 72:16 75:20	151:3,17,22
23:9 24:13,17	<b>fulfilling</b> 15:8	<b>gesture</b> 43:4 125:4	76:4 80:22 85:17	152:19 153:8,19
25:2 30:18 34:19	<b>full</b> 66:8 103:4,21	<b>getting</b> 10:15 27:16	87:2 91:22 99:20	156:15 157:5
37:7,15 41:11	108:2 138:4 159:1	45:10 68:21	100:3 104:17	159:17 160:8
42:6 43:6 45:9	172:14	126:20 127:21	105:9 112:22	161:20 162:11
90:7 101:2 121:15	<b>fully</b> 18:22 147:14	128:3 130:11	117:2 121:14	163:20 164:14,17
129:13 131:12	<b>fulsome</b> 152:6	162:9 163:14	123:20 129:8	165:2,6,13,15,19
132:7 136:2,13	<b>fun</b> 16:13 180:21	171:3	130:2 132:13	165:20 167:4,5,8
137:4 144:17	<b>function</b> 181:3	<b>get-go</b> 90:15	136:2 137:22	172:11,16 174:19
152:19 160:11,18	<b>fund</b> 13:7	<b>Gibson</b> 2:6 68:19	138:7 139:17,20	175:2,5,6,7,12,13
164:21 165:12,13	<b>fundamental</b> 154:1	76:15 77:6,14	144:17 148:15	175:16,18 176:3,5
165:15,18 170:2	154:17,20	78:18,22 79:4,19	153:19 155:1	176:14,18 178:13
174:20 182:14	<b>funded</b> 136:3	79:22 80:9,14,17	158:12,15 165:18	179:22 180:19
<b>found</b> 147:22	159:13	80:21 81:4,9 84:6	176:3,22 183:1	181:14,15 186:5
<b>FOUO</b> 22:13 29:12	<b>funding</b> 180:7	84:17 85:3,7,11	186:5	<b>gold</b> 122:1
29:19 100:12	<b>funds</b> 171:6	85:14 86:5,14,18	<b>God</b> 171:11	<b>good</b> 5:12 6:6,9
166:18	<b>FURCHTOTT...</b>	86:22 87:9 88:7	<b>goes</b> 11:5 22:19	15:18 16:3 23:8
<b>four</b> 63:17 68:18	2:6	89:4,20 91:2,22	55:1 164:21	29:1,6 40:15,19
74:12,14 75:16	<b>furloughing</b> 35:18	92:16,22 97:21	<b>going</b> 4:8 6:19 7:9	43:4 69:18 71:19
81:10 92:1 99:12	<b>further</b> 21:5 27:21	102:12 139:9,21	7:18 10:7,11 15:6	155:15 167:16

170:10 181:12,16  
184:16  
**gotten** 9:20 47:12  
82:8 100:16  
166:11  
**government** 4:7,22  
6:2 21:21 23:6  
29:16 31:13,18  
32:1,1,3 33:16  
34:4,5,14,14,21  
38:11 40:4 57:12  
63:17 104:1,2  
106:3 121:13  
131:11 134:6,15  
149:19 151:12,13  
168:15,19 177:5,9  
177:14 179:1  
**grab** 8:10  
**grand** 181:14  
**grandson** 59:3  
**grants** 13:8  
**granular** 72:1  
**great** 9:8,12,19  
12:8 41:9 45:4  
55:7 65:14 68:16  
121:9 144:4 161:3  
166:20 180:3  
184:9 185:5,9  
186:2,12,19  
**greater** 57:14  
104:8 105:18  
142:17 168:21  
**greatest** 136:7  
**greatly** 137:10  
**greedy** 42:14  
**Greg** 8:4 68:20,20  
**Gregory** 1:21 2:2  
**ground** 13:13  
159:11  
**ground-to-ground**  
135:4,5  
**group** 21:21 22:16  
24:9 26:14,16,20  
27:18 28:2,8,14  
28:18 30:6,16  
32:3,9,22 33:20  
34:3 35:15 40:17

45:16,16 46:1,19  
48:22 49:10 56:1  
62:22 65:19 68:18  
76:14 77:18 83:9  
85:18 90:5 92:17  
97:16,19 98:6  
99:3,5,7 100:18  
101:21 102:3,4,16  
102:17 103:4,8,21  
104:13,17 106:1,7  
106:10,14,15,18  
109:7 111:20  
112:5,18,18  
114:22 115:19,19  
116:9 126:16  
130:15 131:12  
132:6,17 135:3,19  
136:12,14,18,19  
137:8,8,13,18  
138:5 139:2,4  
140:7,10 145:3,19  
148:20 155:6  
156:4,22 157:6  
160:15,19 163:19  
164:6,16 165:10  
169:12 172:2  
184:15  
**grouped** 167:14  
**groups** 3:10 7:17  
10:6,17 11:14  
13:20 22:22 24:11  
24:12,16 26:4,6  
26:10 27:12 32:12  
32:16 35:12 45:15  
50:7 100:10 102:9  
103:19 104:9,11  
105:1,7,9,10  
107:7,22 108:12  
112:12 114:22  
115:15 129:22  
133:14 135:8  
145:13 156:4  
158:13 161:9,22  
164:8 165:6  
169:10 174:2  
176:8  
**group's** 103:3,17

**growth** 147:13  
**guarantee** 53:18  
**Guard** 101:12  
**guess** 5:13 38:17  
55:12,12 63:11  
65:21 106:22  
111:15 124:5  
144:16  
**guest** 4:19  
**guide** 60:9  
**guy** 55:9 64:8  
170:16  
**guys** 117:6 123:21  
125:20 126:12  
149:2 151:1  
169:21 184:8

---

**H**

---

**H** 2:6  
**hampered** 6:10  
**hand** 28:17 67:12  
164:10  
**handle** 58:7  
**hands** 40:6 42:14  
42:18  
**handset** 52:5  
**handsets** 46:21  
47:8  
**happen** 12:11 79:7  
92:11 151:22  
**happened** 46:3  
48:6 93:10 123:15  
150:1 152:7  
**happening** 155:6  
**happy** 61:17 70:5  
152:17  
**hard** 5:15 10:15  
11:12,17 12:18  
13:1,21 69:4  
122:17 137:11  
155:8 184:14  
**hardest** 130:18  
**Harold** 2:6 90:10  
**HATFIELD** 2:7  
90:11 91:11 92:14  
92:19 172:16  
173:1

**head** 112:1  
**hear** 7:18 16:12  
42:20 44:3 85:14  
86:18 105:21  
126:10 182:3  
**heard** 8:22 9:15  
42:7 123:22  
125:17,19  
**hearing** 7:20 147:3  
170:21  
**heart** 123:14  
**heat** 69:10  
**heavy** 69:16 71:18  
**height** 135:11,16  
**heights** 135:11  
**held** 35:13 63:15  
**help** 34:5 64:4 96:7  
168:12 169:3  
173:18 174:6  
175:2 184:20  
**helped** 10:4  
**helpful** 5:22 93:12  
120:11 158:1  
185:13  
**Herbert** 1:19  
**hertz** 58:14  
**hey** 55:6  
**Hi** 40:16  
**hide** 35:3,17 75:6  
**high** 73:19 142:11  
**higher** 57:14 63:10  
**highlight** 170:12  
**highly** 160:10  
**high-value** 73:8  
**Hill** 13:1  
**history** 126:8  
**hit** 17:6 171:10  
**hitting** 13:13  
142:13 171:8  
**hold** 39:19  
**home** 64:2  
**homes** 141:13  
**honestly** 110:9  
**honoring** 4:15  
**Hoover** 1:20  
**hope** 43:3,7 65:6  
114:1 126:15

151:6 180:11  
**hopeful** 99:8  
**hopefully** 18:8 21:3  
45:8 48:22 65:9  
151:10 159:18  
**hoping** 54:11  
120:22  
**hot** 68:22  
**hotel** 47:10  
**house** 41:15 121:17  
178:5  
**housekeeping** 8:7  
**huge** 143:3  
**hundred** 75:4  
99:13 159:1  
**hung** 65:4

---

**I**

---

**idea** 55:2,15 74:13  
75:18 81:12,18  
91:3 95:5 97:8  
98:3 99:19 148:2  
166:22 168:14  
171:17 185:19  
**ideas** 49:18 58:5  
166:9 169:15,21  
170:1,13 176:6  
185:10,15,21  
**identification** 79:8  
**identified** 39:2  
90:21 130:20  
131:16 135:20  
141:12 146:11  
147:10 152:18  
156:1 157:14  
158:3 159:13  
160:2  
**identify** 8:15 78:22  
83:20 115:12  
133:14 157:20  
160:12  
**identifying** 131:12  
134:20,21 148:11  
158:12 163:21  
**ignore** 181:20  
**illustrative** 155:5  
**immediate** 128:16

129:7 151:9 174:18 <b>immediately</b> 126:1 <b>impact</b> 17:4 89:2 144:18 154:14 158:22 <b>impacted</b> 159:5 <b>impacts</b> 98:11 113:5 <b>imperatives</b> 129:16 <b>imperfect</b> 152:4 <b>implement</b> 124:10 <b>implication</b> 61:22 <b>implies</b> 77:19 <b>imply</b> 146:15 <b>importance</b> 136:12 <b>important</b> 11:18 13:10 14:18 15:5 19:19 25:15 52:18 62:2 115:8 131:6 146:9 153:6 161:20 162:1 165:21 169:11 179:9 180:12 181:17 184:18 <b>importantly</b> 7:15 160:2 <b>impressed</b> 172:3 <b>impression</b> 112:12 119:15 <b>impressive</b> 172:11 <b>improve</b> 174:16 <b>improved</b> 10:12 <b>inability</b> 104:18 <b>incentive</b> 13:4 <b>include</b> 26:11 46:22 175:10 <b>included</b> 21:8 41:9 156:10 <b>including</b> 57:13 96:5 <b>incorporate</b> 172:7 <b>incorporated</b> 135:14 <b>increase</b> 50:22 <b>increased</b> 51:1 <b>increasingly</b> 179:9	<b>incredibly</b> 5:22 <b>incumbent</b> 68:7 155:21 <b>incumbents</b> 77:10 80:12 <b>independent</b> 117:17 <b>indicated</b> 94:2 131:3 135:3 <b>indicates</b> 112:7 <b>indirectly</b> 10:5 <b>individual</b> 36:15 169:13 <b>individuals</b> 19:2 20:9 22:21 32:12 38:7 62:17 <b>industry</b> 5:14 7:6 8:1 12:8 15:7 25:3 26:19 32:4 38:14 39:3 41:4,8 49:5 51:15 52:9 52:12 54:4,17,22 58:4 67:3 69:8,15 72:21 73:8 75:1 83:13 94:9 106:3 114:5 116:9 121:12 123:3 131:11 133:22 137:19 151:1,12 151:14 154:4,10 156:11 165:8 174:4 176:6 179:2 181:7 <b>industry's</b> 42:17 43:1 80:3 83:4 129:15 <b>inevitable</b> 113:2 <b>infinite</b> 43:2 119:9 <b>inform</b> 164:22 <b>information</b> 2:17 2:18 3:6 4:20 5:4 7:7 10:19,20 11:8 17:1,2,16,19 19:6 28:7 29:9 31:7,20 31:22 32:5,19 34:6,9,10,11,15 35:4 36:1 38:9,12	38:21 39:18,21,22 40:5 41:10 48:16 48:19,21 50:1,5 50:15 51:13,17 52:1 54:7 56:19 56:20 59:8,11,12 60:2 62:17,19 66:2,9 67:6,11 71:19,20 72:1,2 93:7,11 100:13,16 107:12 113:8 115:8 129:1 136:15 137:2,20 139:14 148:6 158:14,15,17 164:16 179:15,16 181:8 <b>information-shar...</b> 6:12 23:18 <b>initial</b> 18:14 <b>initially</b> 86:7 117:13 120:17 157:7,17 <b>input</b> 39:18 47:13 111:18 124:7 164:19,20 <b>inputs</b> 47:6 48:5 109:4 <b>inside</b> 31:13 137:6 <b>inspect</b> 159:8 <b>inspection</b> 64:1 <b>inspiration</b> 10:8 <b>inspired</b> 10:4 <b>insufficiency</b> 116:12 <b>integrated</b> 103:10 <b>intended</b> 30:12 43:4,5 <b>intensity</b> 67:10 <b>intent</b> 27:5 95:12 <b>intention</b> 28:6 30:5 <b>intents</b> 69:17 <b>interacting</b> 6:19 <b>interaction</b> 55:3,15 76:20 <b>interest</b> 27:7 30:13 45:12 82:19 83:2	83:5 84:11,19 88:3 89:8 168:18 <b>interested</b> 73:9 152:14 185:1 <b>interesting</b> 23:4 54:6 60:14 <b>interfere</b> 56:16 <b>interference</b> 46:21 47:1,7,21 48:3 49:12,20 51:22 52:6 54:1 58:6 80:8 83:21 91:7 92:7 94:17 96:11 103:22 134:19 138:15,20 142:9 142:16 143:3 <b>interfering</b> 53:20 <b>interim</b> 127:5 174:1 <b>intermediary</b> 33:17 39:11 <b>internals</b> 66:1 <b>introduce</b> 167:3 <b>introduced</b> 50:19 <b>introducing</b> 13:18 <b>inventory</b> 16:20 17:14 170:11 171:17 <b>invest</b> 35:10 <b>invite</b> 186:17 <b>involve</b> 44:21 <b>involved</b> 27:2,16,17 27:20,21 28:2 88:21 142:6 164:12,13 <b>in-depth</b> 148:10 <b>irrelevant</b> 16:7 <b>isolation</b> 128:4 <b>issue</b> 6:15 16:8 18:1 18:21 20:12 21:4 47:16,20 49:8 52:3 54:14 55:1 58:13 63:11 64:11 64:17 66:14 67:5 68:5 76:16 77:8 77:11 90:13 97:19 98:1 100:12	122:21 154:8 167:21 170:20 171:8,18 172:18 <b>issued</b> 10:3 <b>issues</b> 5:16,18 6:5 6:11,20 7:4 9:21 18:7 30:14 44:20 58:18 90:21 95:22 115:21 120:21 129:20 131:22 135:5 148:2 150:4 174:21 180:1 <b>item</b> 18:10 178:20 <b>items</b> 49:16 <b>it'd</b> 80:11 84:6,7 <b>it'll</b> 41:13 <hr/> <b>J</b> <hr/> <b>J</b> 2:12 <b>Janice</b> 2:9 8:16 9:1 9:1,9 122:4 147:14 <b>January</b> 173:14 180:22 <b>Jennifer</b> 2:13 87:3 88:19 101:21 106:6 114:21 124:4 127:13 132:13 136:20 137:5 144:22 145:10 148:15,17 154:22 171:21 <b>Jennifer's</b> 125:14 <b>jeopardize</b> 32:5 34:16 <b>jeopardy</b> 17:18 <b>job</b> 13:17 40:2 68:3 <b>jobs</b> 11:22 33:4,4 <b>join</b> 9:16 25:6 92:17 <b>joined</b> 24:14 <b>joint</b> 70:10 <b>JR</b> 2:5,10 <b>JTRS</b> 93:3,6,7,11 97:12,13 99:14 100:12 132:9,15 132:16,20,20
---	---	---	--	---

175:11	61:11 62:2 65:17	78:8 80:7,11		<b>legislation</b> 12:22
<b>July</b> 115:22 136:21	66:6 67:2 68:20	81:19 83:5,7,16		<b>legitimately</b> 55:13
146:4 161:14	69:9 71:18 73:13	83:18 84:12 85:16		110:19
162:8,15 164:7	76:7,9 81:4 82:7	85:18 86:12,14,15		<b>lengthy</b> 18:2
165:7 170:2,6	89:22 90:14 92:11	86:21 88:1 90:21		<b>lesser</b> 59:19
185:22	94:18 99:6 108:16	92:9 93:18 95:11		<b>lessons</b> 104:7
<b>jump</b> 111:14 170:7	108:17 111:6	97:8,22 98:17		<b>letter</b> 15:18 42:6
170:9 184:5	118:5,10 120:9	99:16,17 100:11		123:6 173:15
<b>jumped</b> 148:19	122:16 123:13	100:21 101:15		<b>let's</b> 68:17 120:8,8
<b>June</b> 1:11 12:16	133:10 148:17	102:20 103:9		120:9 161:5 182:7
<b>jurisdiction</b> 86:4	150:8,21 152:19	104:18 105:19		182:13 186:13
86:20	171:8 177:11,19	109:20 110:4,11		<b>level</b> 38:14 60:2
	<b>kinds</b> 6:20 39:9	110:18 112:4,6		67:12 103:21
	149:14 150:18	113:17,18 114:4,4		108:19,22 110:6
	151:17	114:17 115:2		113:20 123:3
<b>K</b>	<b>know</b> 5:20 6:10	117:3,22 118:1,4		126:11 134:20,22
<b>K</b> 4:17	7:11 8:10 9:15	118:6,20 119:16		137:21 154:21
<b>Kahn</b> 2:8 65:16	10:6,14,15 11:4	120:1,4,9,17		<b>levels</b> 57:15 112:18
97:18 102:12	11:16,20 12:1,2	121:1,11 122:7,10		<b>liaison</b> 62:7 102:20
109:12 148:15,16	12:17 13:19 14:19	122:11,14 123:14		<b>liaisons</b> 3:10 26:15
148:16 176:14	15:11,13,16,20,21	124:17 125:3,22		102:13 145:9
178:15	15:22 16:15,17	126:2,13 127:4,10		<b>license</b> 88:14,15
<b>Karl</b> 2:18 4:5,8,15	18:2,3,3,4 19:22	127:22 130:6,12		134:1
9:15 15:11 28:4	20:20 21:1,11,12	131:18,19 133:11		<b>licensed</b> 169:1
29:2 31:4 40:22	23:17 24:2,3	135:12,18,22		<b>licenses</b> 88:8 89:9
117:2 126:17	25:12,21 26:14,14	136:17 137:19		<b>license-shared</b>
129:17 157:21	26:17 27:5,8 30:1	138:5 143:10,17		172:9
180:11 184:19	30:2 31:16 32:8	146:17 147:2,9		<b>lift</b> 69:16
185:14,17 186:14	32:12,17 33:11,13	149:2,8,10,11,19		<b>lifting</b> 71:18
<b>Karl's</b> 125:11	33:22 34:2,4,7,16	150:3,4,8,10		<b>light</b> 66:2
127:22	34:22 35:3,6,6,14	151:2,8,13,21		<b>limited</b> 118:21
<b>keep</b> 12:11 14:21	35:17 36:6,7,9	152:3 155:12,17		<b>line</b> 21:18 44:2 59:2
125:3 129:10	37:3,10,17 38:20	155:18 162:8,12		76:13 82:9 83:1
162:6	39:7,13,16,19	162:12,16 166:16		157:22
<b>keeping</b> 7:21	40:7 41:1,13 42:9	168:17 170:3,17		<b>lines</b> 126:6
<b>Kevin</b> 2:8 65:15	42:21,22 43:2,15	171:9,14,15 172:7		<b>link</b> 143:17
102:11 109:11	43:16 44:1,5,13	173:13 175:11,13		<b>linked</b> 168:9
148:15,16 172:10	45:7,20 52:10,16	176:16 177:4,11		<b>links</b> 166:14
176:12 178:10	55:9 56:11 58:9	177:15,19,21		<b>lip</b> 42:22
<b>key</b> 51:10 133:1	60:1,4,9,22 61:1,7	178:1,3,11 179:21		<b>list</b> 13:9 26:3 59:13
137:9	61:17 62:2,5,8	180:2 181:11,11		59:14,15,18 61:9
<b>kick</b> 129:5 184:17	63:1,12 64:8 65:3	181:17,21 182:2		176:15 178:9
<b>kidding</b> 128:5	65:18,22 66:4,13	183:8,14,18 185:6		<b>listed</b> 166:10
<b>kilometers</b> 105:18	67:7,10,12 68:21	<b>knowledge</b> 19:9		185:11
116:17,17 138:1,1	69:3,17 70:19	<b>known</b> 111:3		<b>listen</b> 55:7 170:22
<b>kind</b> 10:10,16 14:7	72:4,12,21 73:14	<b>knows</b> 18:3,4		<b>listening</b> 148:19
37:13,14 45:1	73:17 74:10 77:15			<b>literally</b> 81:22
51:3 54:5,22 57:6				
58:8,12 60:14				
			<b>L</b>	
			<b>L</b> 2:5	
			<b>lack</b> 115:2	
			<b>lacking</b> 111:17	
			<b>lady</b> 122:14	
			<b>laid</b> 37:11	
			<b>land</b> 159:15	
			<b>landing</b> 148:11	
			<b>language</b> 140:9	
			145:10	
			<b>large</b> 52:21 77:5	
			80:16 116:5,16	
			157:17	
			<b>largely</b> 128:8	
			<b>Largent</b> 123:7	
			<b>larger</b> 24:18	
			<b>Larry</b> 2:2,15 4:13	
			9:3 10:1,14 11:4	
			13:17 15:11 18:3	
			18:15 31:3 36:6	
			40:21 130:2 184:7	
			<b>Larry's</b> 14:16	
			<b>lasting</b> 137:12	
			<b>late</b> 22:7 72:3 73:22	
			<b>lately</b> 170:14	
			<b>latest</b> 47:18	
			<b>late-breaking</b>	
			20:15	
			<b>Laughter</b> 125:12	
			127:17	
			<b>launched</b> 122:16	
			123:15,16	
			<b>law</b> 167:8	
			<b>lawyers</b> 17:17 19:1	
			20:16,16 21:21	
			<b>lead</b> 156:18 165:19	
			169:12	
			<b>leadership</b> 10:1	
			15:2	
			<b>leading</b> 79:11	
			<b>learned</b> 9:21 104:7	
			<b>leave</b> 119:15	
			<b>leaves</b> 40:1	
			<b>led</b> 110:7	
			<b>left</b> 74:2	
			<b>legal</b> 23:7 108:5	
			<b>legally</b> 104:19	

<b>little</b> 6:16 8:7 37:19 42:21 47:19 62:21 65:5 66:10 69:12 70:16 71:22 72:8 72:15 73:22 74:9 76:21 78:5 83:8 83:15 84:20 90:6 92:21 93:7,13 94:19 96:14 98:14 109:13 111:11 121:3,18 124:19 132:18 141:9 145:21 162:12 183:18	117:18 118:9,16 119:16 127:6 134:18 140:1 141:4 144:3 145:17 150:13 154:13 164:18 166:21 167:19 182:14	171:2 177:10,16 177:16 178:8 179:4 181:9 185:10	<b>MARTIN</b> 2:4 <b>Marty</b> 8:20 9:1,1 <b>masts</b> 142:11 <b>matter</b> 142:22 <b>maximum</b> 70:21 <b>Ma'am</b> 21:14 <b>MCHENRY</b> 2:8 24:1,5	151:11
<b>live</b> 121:19 141:22 <b>living</b> 12:3 <b>local</b> 141:22 <b>locate</b> 139:11 <b>located</b> 71:3 84:8 <b>location</b> 91:1 <b>locations</b> 74:5 75:3 75:4,14,16 93:22 94:1 101:10 132:8 168:7 <b>logical</b> 68:13 <b>logically</b> 163:15 165:4 <b>long</b> 7:3 56:15 90:20 91:3 93:4 122:12 141:18 151:19 176:2 177:13 181:21 <b>longer</b> 127:20 <b>long-term</b> 93:14 99:21,22 <b>look</b> 6:6 7:20,21 11:20 18:11 30:4 30:15 37:15 39:14 40:7 43:6,10 47:11 48:15 50:21 51:6 53:2 59:13 60:8 72:14 82:11 91:15 99:18 105:11 106:8 108:10 109:3 113:4 115:6,18 116:13 117:6,16	<b>looked</b> 54:4 74:16 102:7 106:16 107:16,18 117:10 120:2 121:6 131:14 132:10 135:4 183:2 <b>looking</b> 13:12 43:11,13 44:6,17 46:19 69:9 70:8 78:16 106:11 108:15 113:14 116:16 117:4,12 117:20,22 118:2,3 125:7 134:5,20 140:10,12 143:12 154:13 161:6 163:7 166:2 167:11 168:19 173:20,20 174:3 175:17 177:20 178:4 183:8 <b>looks</b> 88:16 169:11 169:12 170:7 <b>loss</b> 41:13 <b>losses</b> 135:13,13,14 <b>lot</b> 11:7,11 13:21 13:21 24:20,22 33:22 35:11 46:2 48:15 51:16 53:5 54:6,12 56:19 57:21 61:10 63:9 64:10,19 67:3 68:12 69:3 75:19 76:1 90:12 97:3,3 97:4 98:22 106:2 108:4 112:19 114:4,15 115:13 135:9 137:12 149:1,21 154:12	<b>lots</b> 60:13 88:7 168:1 <b>love</b> 44:3 162:14 <b>low</b> 52:9 <b>lower</b> 71:5 73:4 78:2 112:3 114:3 114:12 120:15,18 <b>LTE</b> 104:1,1 105:12,15,17 108:14 134:10 138:16,18 142:10	<b>mean</b> 5:19 25:9 29:21 32:15 35:11 35:17 38:4 43:5 61:19 62:6 64:15 65:17 66:21 67:5 68:3 80:11 84:18 85:19 90:10 91:2 95:19 109:4 110:3 114:3 117:5,10 118:17 119:20 120:13 121:17 123:16,19 137:2 143:18 147:5 150:5 175:16 178:1,15 181:13 181:21 183:13,14 184:22 <b>meaningful</b> 129:18 129:19 135:17 <b>means</b> 25:13 65:22 76:2 77:21 83:5 83:15 90:6 94:18 96:5 97:14 98:1 179:18 <b>meant</b> 72:5 170:19 170:20 182:6,7 <b>measurable</b> 67:11 <b>measure</b> 96:3 <b>measured</b> 120:18 120:19 149:5 151:21 <b>measurement</b> 65:2 66:7 91:5 <b>measurements</b> 60:12,18 167:15 <b>mechanism</b> 52:4 53:18 56:16 63:21 83:20 <b>mechanisms</b> 151:4	<b>meet</b> 128:16 164:14 <b>meeting</b> 1:6 4:4,7 6:8 7:12 41:14 48:11 56:1,10 100:8 102:17 145:7 146:4 161:7 161:19 162:3,5 166:8 169:5 170:2 170:6 172:1 186:20,22 <b>meetings</b> 102:16 <b>meg</b> 77:21 <b>megahertz</b> 41:5 42:19 78:15 112:3 113:14 124:8 126:20 128:1,18 132:4 144:7 150:11 154:16,19 180:12 182:4 <b>megs</b> 73:7 <b>melled</b> 14:7 <b>member</b> 2:2,3,4,4,5 2:5,6,6,7,8,8,9,9 2:10,10,11,12,12 2:13,13 5:7 8:16 8:19,20 9:3,6 24:1 24:5 25:18 29:7 29:13,15 38:2 40:15 45:19 59:10 61:15 62:4,10,13 63:2 64:22 65:16 67:17 68:19 76:10 76:15 77:3,6,7,14 78:10,18,21,22 79:3,4,16,19,20 79:22 80:6,9,10 80:14,15,17,18,21 81:3,4,7,9 84:1,6 84:15,17 85:1,3,7 85:9,11,12,14,22 86:5,6,14,16,18 86:21,22 87:3,9 87:12,14 88:7,17 88:18 89:4,18,20 90:11 91:2,11,22
		<b>M</b>		
		<b>M</b> 2:11,17 <b>main</b> 96:22 <b>maintain</b> 25:22 93:17,20 <b>MAJ</b> 2:21 21:14 24:10 <b>major</b> 61:20 168:22 <b>majority</b> 131:1 <b>make-work</b> 67:15 <b>make-worky</b> 66:10 <b>making</b> 8:5 15:4 139:2 173:16 <b>man</b> 28:17 <b>management</b> 1:3 166:16 178:21 <b>manmade</b> 147:18 <b>manner</b> 168:14 <b>manufacturer</b> 12:4 <b>maps</b> 176:5 <b>MARGARET</b> 2:22 <b>Marine</b> 74:4 133:5 133:6 <b>mark</b> 2:4,6,8 17:7 62:8 68:18 76:10 84:1 85:22 102:12 102:20 132:16 <b>market</b> 73:8 <b>markets</b> 105:14 116:7 134:7		

92:14,16,19,22 97:18,21 102:1 106:6,13 107:2,6 107:11,15,17,20 109:2,12 111:15 112:8,9,14 113:22 115:10 120:10,12 122:3 123:5,9,11 123:13,19 125:10 127:11 130:2,4 132:12,14 136:10 137:14 138:10,18 138:19,22 139:1,7 139:9,19,21,22 140:3,4,6,13,15 140:20 141:3,7,15 144:21 146:5,8 147:14 148:12,16 152:2 153:11,15 153:20 155:2 156:17 161:18 162:18,22 170:8 171:22 172:16,21 173:1,2,5,10 175:9 176:14 178:10,15,19 179:20 180:10 182:17,21 183:1 184:6 <b>members</b> 7:16 8:14 9:11 11:14 26:11 26:12 29:17,18 32:9 65:13 162:2 <b>membership</b> 13:22 <b>memo</b> 166:14 167:19,22 <b>memorandum</b> 10:3 10:10,13,18 12:16 13:14 152:18 159:21 179:11 <b>memorialized</b> 85:17 <b>memorized</b> 157:11 <b>men</b> 33:3 34:16 <b>mention</b> 123:7 172:11 <b>mentioned</b> 36:7	59:8 172:10 <b>met</b> 1:18 <b>metaphysical</b> 85:3 85:21 <b>meter</b> 55:10 135:11 <b>methodologies</b> 83:21 96:20 <b>methods</b> 96:19 100:19 <b>me/pull</b> 73:12 <b>Michigan</b> 5:5 <b>microphone</b> 8:10 14:10 153:12 <b>Microsoft</b> 4:16 <b>microwave</b> 70:9,13 71:6,9 73:3 <b>microwaves</b> 70:7 <b>middle</b> 44:5 71:1 173:8 <b>milestone</b> 61:21 <b>million</b> 143:20 <b>milliseconds</b> 149:5 <b>mind</b> 92:2 105:3 162:6 163:10 <b>mine</b> 63:15 <b>minus</b> 52:8 53:21 58:14 <b>minutes</b> 141:17 153:19 <b>miscellaneous</b> 130:16 <b>missing</b> 23:14 62:19 137:9 <b>mission</b> 11:18 57:13 107:13 150:5 <b>misunderstanding</b> 120:1 <b>misused</b> 91:9 <b>mitigate</b> 48:3 49:19 <b>mitigation</b> 49:18 50:4 <b>mix</b> 65:11 <b>mobile</b> 41:4 46:21 52:5 <b>mobility</b> 13:7 <b>mode</b> 91:14	<b>model</b> 10:10 67:19 68:13 159:10,11 <b>modeling</b> 98:12 <b>models</b> 50:22 51:4 54:9 90:22 <b>modify</b> 92:10 <b>Molly</b> 2:22 8:19 9:1 9:2 <b>moment</b> 95:7 111:2 <b>Monday</b> 48:11 55:6 <b>money</b> 35:9 55:9 113:12 118:19 171:12 <b>month</b> 169:17 180:18 <b>months</b> 50:10 120:18 123:16 138:2 <b>moralize</b> 81:19 <b>morning</b> 16:12 20:15 46:8 47:7,9 52:2 55:6 83:10 <b>motion</b> 128:7 <b>motivation</b> 178:5 <b>mountain</b> 71:1 <b>move</b> 23:16 27:11 30:18 31:1,6 32:13,17 41:11 42:5 45:8,14 68:17 77:1 80:3 90:7 101:20 131:7 131:9 153:5 155:19 160:18 161:5 165:12,13 168:6 170:1 174:20 176:2 <b>moved</b> 79:17 80:1 154:5,6,6 163:17 163:21 164:1 <b>moving</b> 14:22 77:22 83:19 99:6 113:2 115:10 116:2 122:11 137:4 143:7,8 159:6 165:15 <b>MSS</b> 144:8,9 <b>multiple</b> 157:18	<b>munitions</b> 130:16 <b>music</b> 155:20 <b>mute</b> 158:1 <b>muted</b> 44:11 <hr/> <b>N</b> <hr/> <b>N</b> 2:7 98:15 <b>name</b> 62:12 <b>narrative</b> 125:20 <b>narrow</b> 146:15 <b>narrower</b> 134:14 <b>NASTA</b> 36:20 <b>nation</b> 159:2 <b>national</b> 15:9 34:7 56:3 96:16 101:11 108:6 147:8,16 <b>nationalized</b> 97:7 <b>nationwide</b> 11:20 168:8 <b>nation's</b> 128:4 <b>natural</b> 147:18 <b>nature</b> 7:6 108:18 145:9 <b>Navy</b> 74:4 133:4 <b>NDA</b> 22:5 28:12,21 29:14 38:4,6,15 38:20 <b>NDA's</b> 18:2,14 19:3 20:10,18,19 28:9 37:18 55:2 104:15 164:13 <b>near</b> 148:1 176:22 185:8 <b>Nebbia</b> 2:18 9:15 25:16 28:5 29:21 30:3 43:10 124:5 161:6,11,13,16,18 163:2 174:8 175:15 186:16 <b>necessarily</b> 39:2 64:14 118:18 131:21 <b>necessary</b> 75:22 76:1 78:6 87:6 104:4 130:7 157:19 164:3 179:16	<b>need</b> 20:19 24:15 30:9,17 33:10,11 34:1 37:19 38:15 38:18,20 39:11 70:4 71:11 78:3 82:2,9 83:8,14 84:21 90:5 94:6 96:2 99:17,21,22 99:22 101:1 103:11,12 113:4 152:3 155:11 164:17 171:14 175:13 <b>needed</b> 36:14 91:18 138:1 <b>needs</b> 7:7 10:11,11 84:20 99:1 128:5 128:16 129:7 135:21 142:19 150:17 178:22 184:10 <b>network</b> 114:16 <b>never</b> 88:15 92:2 <b>Neville</b> 114:4 <b>new</b> 6:18 11:6 50:18 57:16 137:3 142:5,6,12 143:18 143:20 144:11 147:22 158:14 162:7 184:13,17 <b>news</b> 20:15 142:13 143:15 <b>newscast</b> 142:1 <b>NIB</b> 68:14 155:19 <b>nice</b> 60:20 125:4 <b>nickel</b> 41:20 <b>night</b> 4:16 <b>nine</b> 158:6 <b>NIST</b> 31:16 36:12 36:17 <b>nodding</b> 111:22 <b>noise</b> 134:22 <b>Nokia</b> 172:12 <b>noninterference</b> 50:18 51:3 56:14 56:22 57:18 61:18 67:19,21
---	---	--	---	--

<b>non-disclosure</b> 29:10	146:8 152:2 172:21 179:20	<b>ones</b> 59:12 80:4 99:21,21	119:21,21 134:9	<b>pair</b> 41:22
<b>non-federal</b> 168:15 177:15	<b>obviously</b> 12:14 54:10 63:6 80:10	<b>ongoing</b> 90:20 98:9	<b>options</b> 36:8 117:17 118:11	<b>pairing</b> 42:2
<b>notching</b> 134:13,16	107:1 130:6	<b>onion</b> 18:7	119:1 183:21	<b>parameters</b> 100:1 119:18,19
<b>note</b> 152:10	141:20 152:13	<b>onus</b> 67:20	<b>order</b> 6:14 15:17 17:8 29:4 32:9	<b>paranoid</b> 18:16,17
<b>notes</b> 183:3	165:22	<b>open</b> 4:7 10:19 14:15 20:7,8	40:20 99:15 169:7	<b>paraphrase</b> 112:20
<b>notice</b> 57:8	<b>occupancy</b> 167:15	21:13 23:1 25:21	173:22	<b>Pardon</b> 24:4
<b>notifications</b> 150:1	<b>occur</b> 150:2,3	27:13 34:19 40:9	<b>organization</b> 31:16 36:11,16,18 37:5	<b>parse</b> 54:8 118:9
<b>notion</b> 90:13 95:10 96:16 160:9,10 177:14 179:1	<b>October</b> 59:21	<b>Opening</b> 3:2,4	<b>organizational</b> 150:19	<b>part</b> 7:3 23:2 25:20 36:10 37:11 41:18
<b>NT</b> 80:2	<b>offered</b> 51:6	<b>openly</b> 35:3,5	<b>organizations</b> 31:13 36:10	49:3 51:15 55:20 55:20 62:18 73:15
<b>NTIA</b> 4:10 14:20 17:12 31:3 33:15 36:19 37:10 50:20 70:15 71:16 79:2 86:2 87:10 93:6 132:6 139:20 141:5,10,11 149:18 151:14 155:13 156:2 164:19 181:1,4 184:20 185:8	<b>office</b> 4:17	<b>operate</b> 50:17 51:2 97:9 109:21 111:4	<b>original</b> 52:17 59:17,20 101:6 157:13	79:5,7 98:3 106:16 131:21 132:16 158:11 159:16
	<b>officer</b> 2:18 3:6 4:20 5:4 126:14	<b>operates</b> 52:19,21	<b>ought</b> 159:13	<b>participant</b> 26:8 161:10,12,15,17
	<b>official</b> 22:13 29:10 81:20 123:17 148:5	<b>operating</b> 12:5 30:8 67:20 108:14 108:14 155:19	<b>outcome</b> 82:22 164:11 166:2	<b>participants</b> 26:13 26:19 28:8,14 30:6 38:14 112:17
	<b>off-axis</b> 96:21 98:21	<b>operation</b> 36:13 97:1 134:12 168:4	<b>outcomes</b> 30:11 83:7 161:21 165:20 176:9	<b>participate</b> 28:11 29:5 184:14
	<b>off-the-shelf</b> 177:1	<b>operational</b> 95:21 95:22 110:1	<b>outer</b> 182:10	<b>participated</b> 62:22
	<b>oh</b> 90:9 127:11 131:7 161:13 171:11	<b>operations</b> 83:2 85:8 87:19,21 91:13 92:8,10 93:17,20 106:20 107:14,14 132:20 168:6	<b>outlined</b> 136:20	<b>participating</b> 7:17 26:5,20 27:7,8 38:5
	<b>okay</b> 9:5,12 11:16 26:2 29:13 30:21 38:1 42:7 45:14 45:22 54:1 56:22 62:10 65:14 68:19 78:21 79:3,16 81:3 82:14 90:9 92:22 101:20 107:5 108:13 116:22 117:9 123:11,11 126:10 127:8,12 129:6 130:4 132:14 140:4,13 141:15 148:15,16 155:2 156:13,15 161:4,6 180:9 186:10,12	<b>operators</b> 92:9 134:8 149:20	<b>outside</b> 11:12 66:6 86:9 134:6 137:6 158:8 182:18	<b>participation</b> 102:5
		<b>opinion</b> 152:14 154:18	<b>overall</b> 31:8 56:8 105:5	<b>particular</b> 6:11 22:17 23:11,12 24:19 49:7 61:6 67:16 79:18 80:13 91:1 132:3 141:1 168:4 185:7,7
		<b>opportunities</b> 19:5 37:9 39:15	<b>overarching</b> 103:6 104:6,15 108:1 151:7	<b>participation</b> 102:5 <b>particular</b> 6:11 22:17 23:11,12 24:19 49:7 61:6 67:16 79:18 80:13 91:1 132:3 141:1 168:4 185:7,7
		<b>opportunity</b> 3:18 14:14 21:6 37:2 42:2 180:14 181:5 181:22 184:12 186:3,8	<b>overlaid</b> 99:9	<b>particularly</b> 31:6 33:8 109:16 137:9 142:3 143:15 145:11 147:17 160:5,6 167:20 179:6
		<b>opposed</b> 70:22 96:22 102:16 120:7 132:16	<b>overlap</b> 98:7	
		<b>optimally</b> 160:17	<b>overly</b> 153:1	
		<b>optimism</b> 130:13	<b>owner</b> 68:6 89:14	
		<b>optimistic</b> 51:21	<b>o'clock</b> 4:16	
		<b>option</b> 107:3,7,10 107:10,12,18 117:8 118:16		
			<b>P</b>	
			<b>package</b> 113:15	<b>parties</b> 55:4
			<b>packed</b> 76:1	<b>partner</b> 146:19,22
			<b>page</b> 71:13 73:17 79:15 92:1,3 94:22 95:1 133:16	<b>parts</b> 111:4 142:14
			<b>pages</b> 84:11	<b>party</b> 40:6 56:21
			<b>paid</b> 18:16	<b>passing</b> 148:18
				<b>path</b> 136:13 138:7 176:16,17



<b>paths</b> 89:17 151:20	<b>personnel</b> 15:2	<b>platforms</b> 177:8,9	135:9,17,21	159:21 166:14
<b>Pawtuxet</b> 144:1	<b>perspective</b> 11:21	<b>play</b> 166:11	142:16 157:9	167:19 179:11
<b>pay</b> 55:8,16 121:9	15:10 22:1,18	<b>please</b> 162:6,13	175:14	<b>president's</b> 182:4
167:1,4 171:19	25:1 33:7,10,17	169:5,16	<b>potentially</b> 87:15	182:18
<b>paycheck</b> 171:15	34:8 35:21 36:1,5	<b>pleased</b> 47:13	87:16,22 117:13	<b>presiding</b> 1:22
<b>paying</b> 170:18	46:15,15 48:17	<b>plus</b> 101:10	121:9 138:20	<b>press</b> 15:18
<b>payment</b> 167:8	56:9 66:21 117:21	<b>point</b> 20:11 24:19	<b>potentials</b> 136:6	<b>presses</b> 69:1
<b>peeled</b> 18:6	<b>petition</b> 154:15	32:20 45:21 53:20	<b>Povelites</b> 2:9 38:2,2	<b>pressing</b> 182:11
<b>Pentagon</b> 122:20	<b>PGM</b> 109:3	60:7,15 61:2,16	76:10,11 106:6,7	<b>presumably</b> 79:4
<b>people</b> 5:14 13:22	<b>Phase</b> 48:8	63:4 70:9,9,13,13	107:15 173:5,10	86:10 89:5,13
20:4 24:2,6,20	<b>phone</b> 2:2,4,9,11,12	76:9 79:11 86:2	175:9	110:13
27:17 28:1 29:3	8:17,21 9:4,7	88:13,14 90:3,4	<b>power</b> 2:19 9:14	<b>presume</b> 112:6
30:7,10,12 32:17	30:20 44:10,11	92:12,21 108:1	15:16 57:15 178:2	<b>pretty</b> 19:12 21:15
34:3 35:18 48:14	45:20 65:13 158:1	112:1,2 114:11	<b>practical</b> 150:12	47:13 52:9,11
49:5 54:5 61:17	184:4 186:6	115:11 118:17	<b>practically</b> 43:2	53:4 94:11 109:22
61:20 63:4,9,18	<b>phrased</b> 140:9	123:20 124:13	<b>preceded</b> 112:21	110:8 144:9
69:3 100:18	<b>pick</b> 24:2,6 162:18	125:8 126:7	<b>precedence</b> 88:8	<b>prevent</b> 89:9
108:17 114:13	162:22	127:22 146:9	<b>precision-guided</b>	<b>prevention</b> 27:15
118:21 128:9	<b>picked</b> 54:15	153:22 155:7	130:15	<b>preview</b> 103:1
143:21 148:6	<b>picking</b> 59:3	157:21 162:16	<b>preclude</b> 143:19	<b>previous</b> 84:11
149:8 151:3	<b>picture</b> 167:16	164:7 182:2,9	<b>precluded</b> 19:4	<b>primarily</b> 71:8
164:13 166:4	<b>piece</b> 24:18 30:20	<b>pointed</b> 114:13	<b>preclusive</b> 143:14	<b>primary</b> 89:7,11
168:3 171:14	154:15 159:6	179:3	<b>predictable</b> 160:7	132:8 156:3 174:8
173:4 176:2 184:4	<b>pilot</b> 167:18	<b>pointing</b> 98:20	<b>preferred</b> 160:3	<b>principle</b> 69:8
184:20 185:20	<b>ping</b> 156:18	<b>points</b> 61:1 69:13	<b>prejudice</b> 25:13	<b>principles</b> 42:12
<b>percent</b> 63:14 87:5	<b>pipe</b> 116:22	157:5	<b>preliminary</b> 17:15	<b>prior</b> 5:3 19:9
114:2 147:5,5	<b>pitch</b> 172:17	<b>political</b> 121:18	104:2 108:7	62:15 102:8
159:2,2	<b>place</b> 30:16 68:10	<b>pong</b> 156:18	109:10 116:3	<b>prioritize</b> 70:17
<b>perception</b> 67:18	69:18 78:12 91:13	<b>population</b> 159:3	137:20	71:2 72:22 73:2
<b>perfect</b> 147:11	129:11 136:1,9	<b>portion</b> 71:5 77:20	<b>prepared</b> 119:7	134:6 136:5
181:12,15	144:12 147:11	78:2,7 113:1	120:4	<b>priority</b> 12:14
<b>perfectly</b> 11:10	151:4,11 160:13	<b>portions</b> 73:5	<b>presence</b> 111:5	73:20 132:19
181:1	163:14 168:9	<b>position</b> 123:17	<b>present</b> 2:1,14	133:6 169:7
<b>perform</b> 74:20	179:17	<b>positively</b> 43:12	57:21	<b>private</b> 43:19 183:7
75:21 95:1	<b>places</b> 32:13 53:5	<b>possibility</b> 19:7,15	<b>presentation</b>	<b>proactive</b> 5:22
<b>performed</b> 75:14	87:18 89:7 109:22	57:13	101:17	<b>probably</b> 7:2 14:9
181:4	168:20	<b>possible</b> 43:18	<b>presentations</b>	14:12 16:7 59:13
<b>period</b> 60:5 126:19	<b>placing</b> 146:20	58:16 71:5 72:22	133:21 149:3	59:14 60:11 63:8
127:6 164:14	<b>plan</b> 20:22 64:16	73:6 94:2 115:12	172:4	64:8 66:17 78:5
<b>permanently</b>	128:18 159:7,19	115:16 127:6	<b>presented</b> 172:13	82:4 83:11 121:1
175:19	159:20 170:4	141:12 143:13	183:3	142:17 145:20,21
<b>permit</b> 95:16	173:14 181:15	145:17 148:22	<b>presenting</b> 102:2	149:4 150:10
<b>person</b> 8:18 67:20	<b>planning</b> 79:5	166:2 182:8 183:2	<b>preserve</b> 179:6	156:3 160:1
68:6	154:19	<b>Post</b> 16:10	<b>president</b> 6:14,15	163:20 169:8
<b>personal</b> 111:12	<b>plans</b> 79:12 165:14	<b>potential</b> 33:6	12:15 152:18	177:3,12
<b>personally</b> 111:11	174:21	50:22 57:12	182:4	<b>problem</b> 39:17
172:19 186:16	<b>plate</b> 176:21	110:12 132:8	<b>presidential</b> 10:2	40:13 53:6,7 59:1

88:4 89:17 110:17 154:1 185:7 <b>problematic</b> 148:1 <b>problems</b> 23:9 110:12,14 128:20 129:15 177:13 178:8,8 <b>procedurally</b> 86:1 <b>procedure</b> 143:1 <b>proceed</b> 159:19 <b>process</b> 6:1 11:3 14:4,22 15:4 16:16,21 18:2 19:21 20:7,8 21:13 22:22 23:20 24:2,6 25:11 26:16 28:1 38:6 43:7 44:9 45:6 58:12 65:2,7 74:1 81:21 82:3 92:6 94:11,13 95:7 100:9 103:5,7,13 109:14 119:11 121:13 122:1 123:15 126:18 134:2 136:2,20 137:3,7,10 145:4 146:14,20,22 150:17 152:4,19 153:3 158:10 159:17,18 160:3,4 162:4 164:3,9,21 165:3,13,14 173:17 174:20 180:11 <b>processes</b> 23:6 176:11 <b>producing</b> 30:8 <b>production</b> 158:4 <b>productivity</b> 11:22 <b>products</b> 12:6 <b>program</b> 83:17 96:10 167:18 <b>progress</b> 3:9 6:9 7:21 40:19 45:15 104:8 <b>project</b> 185:16	<b>promise</b> 124:18,20 129:17 <b>promised</b> 126:6 <b>promising</b> 133:15 134:17 <b>propagation</b> 90:22 135:13 <b>properly</b> 156:8 180:4,4 <b>proposal</b> 122:5 <b>proposed</b> 57:8 <b>protect</b> 21:22 34:6 63:20 64:3 66:1 67:6 <b>protected</b> 12:13 31:21 65:21 133:7 <b>protecting</b> 10:22 19:2 91:20,21 <b>protection</b> 73:19 74:6,11,20 75:7,9 75:13,21 76:5,12 76:18 77:4,9 78:6 82:2,5,6 86:9 89:5 91:8 93:19 95:2 95:17 96:6,20 98:13,14 99:18 100:4 105:16 108:15 116:15 143:2 157:18 158:9,21 159:5 <b>protections</b> 32:2 91:4 96:5,18 116:16 <b>provide</b> 16:22 27:9 56:18 <b>provided</b> 22:5 94:3 107:13 130:21 <b>providing</b> 5:6 26:9 62:19 175:8 179:16 <b>provisions</b> 57:11 <b>public</b> 3:18 5:8 19:19 20:8 21:9 22:17 25:21 66:21 66:22 147:3 148:5 152:8 186:3,8,9 186:11	<b>publication</b> 162:21 <b>publicly</b> 104:18 116:12 <b>pull</b> 63:22 <b>pulling</b> 103:6 <b>purchase</b> 148:11 <b>purpose</b> 40:17 <b>purposes</b> 32:6 69:18 <b>push</b> 64:6 73:12 <b>pushing</b> 7:1,22 90:13 <b>put</b> 5:8 12:15,20,21 20:7 35:11 41:7 48:8 55:9 60:18 61:8 66:22 72:5 84:14,16 92:12 121:2,18 127:4 128:7 129:11 131:12,19 137:21 139:14 140:18 159:7 160:11,11 166:4,22 174:5 178:17 184:1 <b>puts</b> 88:8 <b>putting</b> 45:6 132:6 145:14 170:3 <b>P-R-O-C-E-E-D-...</b> 4:1 <b>p.m</b> 1:21 4:2 186:22	<b>questions</b> 20:5 22:4 22:20 23:20 30:20 59:5,7 65:13 77:1 82:13 90:9 101:17 101:18 105:2,3 138:14 161:3 165:2 166:5 168:1 169:13 <b>queued</b> 177:19 <b>quick</b> 23:10 84:2 <b>quickly</b> 22:4 94:11 125:13,21 171:11 <b>quite</b> 31:14,21 97:19 105:6 110:9 112:15 118:14 159:12 160:7 169:8	64:11 84:1 90:1 91:4 148:21 151:20 <b>realize</b> 7:1 125:15 126:18 180:20 <b>reallocated</b> 7:22 144:8 <b>really</b> 5:10,12,15 13:21 14:13,19 15:15 16:1,5 17:12 18:10,21 23:3,4 26:13 31:8 32:5 35:21 37:21 39:17 45:4,12 51:15 52:14 53:2 60:17,19 63:1 64:20 69:11,14 71:8,22 76:5 77:19 82:8 83:10 85:19 97:4 99:15 99:20 102:18 103:1 104:10 105:15 108:3,10 108:13 112:2 113:4,15 115:7 116:10,11 120:13 121:8 122:13,19 124:15,16 125:5 128:21 129:17 130:17 133:16 135:20 138:12 141:8,9 150:13 160:12 162:3 173:22 179:10 185:6,13 <b>Reaser</b> 2:10 29:7,8 29:13 45:19 59:10 61:15 62:4 63:2,3 67:17 170:8,9 <b>reason</b> 28:9 67:16 71:9 74:18 76:5 84:14 115:11 157:16 158:11 <b>reasonable</b> 27:22 163:4 <b>reasons</b> 71:18 120:16 158:18
<b>R</b>				
			<b>radial</b> 61:7 <b>radiation</b> 67:10 <b>radio</b> 70:9,10 75:5 <b>radios</b> 70:11 <b>raise</b> 28:17 89:3 <b>raised</b> 112:17 146:8 <b>raises</b> 87:5 <b>ran</b> 52:16 53:10 63:6 99:12 <b>Ray</b> 114:4 <b>Raytheon</b> 63:16 <b>reach</b> 108:4 110:21 <b>reached</b> 46:6 109:11 <b>react</b> 145:2 149:13 <b>reacting</b> 125:16 145:1 146:2 <b>reaction</b> 112:7 117:17 <b>read</b> 47:5 57:3 142:8 <b>readily</b> 66:5,8 67:7 <b>readjusted</b> 158:20 <b>ready</b> 136:20 170:7 170:8,8 171:3 185:22 <b>real</b> 7:8 61:8 63:11	
<b>Q</b>				
		<b>quantification</b> 167:21 168:2 <b>quasi-commercial</b> 178:1 <b>question</b> 29:8,20 38:19 58:8 59:7 65:14 75:8 76:11 78:9 85:4 111:16 111:17 117:2 124:6 137:20 154:2 159:14 169:9 171:5 183:6 <b>questionable</b> 113:11		

<b>recall</b> 106:15	<b>refine</b> 95:6 96:19	<b>rely</b> 122:20 147:20	<b>requested</b> 24:16	175:17,18
<b>receive</b> 142:14	<b>refined</b> 145:20	<b>remain</b> 89:6	30:5	<b>results</b> 115:6 137:7
<b>received</b> 9:16 20:13	<b>refining</b> 145:5	<b>remainder</b> 17:19	<b>requesting</b> 148:10	<b>resumed</b> 122:22
20:14 48:7 164:20	<b>reflect</b> 140:18	<b>remaining</b> 42:18	<b>require</b> 67:2	<b>returned</b> 46:3,5
<b>receiver</b> 47:8	<b>reflecting</b> 112:2	75:14,21	131:17 149:21	<b>revenues</b> 87:6
<b>receivers</b> 46:22	<b>reflects</b> 65:20	<b>remains</b> 64:19 87:8	<b>required</b> 28:9	113:6 114:1
49:13 51:13 56:17	<b>regard</b> 110:1 129:5	<b>remarks</b> 3:2,6 16:6	76:20 105:14	<b>review</b> 46:4 48:21
58:7	<b>regarding</b> 172:20	<b>remember</b> 5:17	146:21 165:18	145:6 146:3
<b>recognize</b> 4:18 6:17	<b>regardless</b> 6:1	28:19 102:8	173:14	167:13
148:14 155:16	<b>registered</b> 162:21	157:10	<b>requirement</b> 163:3	<b>revisit</b> 95:10
156:9	<b>regulatory</b> 57:7,11	<b>remind</b> 13:9	163:3	<b>revoke</b> 125:10
<b>recognized</b> 11:4	<b>reiterate</b> 144:22	<b>reminder</b> 133:13	<b>requirements</b>	<b>RICHARD</b> 2:10
127:14	180:10	<b>reminds</b> 18:15	57:13 116:6	<b>Rick</b> 2:10 29:7
<b>recognizing</b> 131:15	<b>related</b> 32:1	<b>remote</b> 19:15	131:22 177:5	45:17 63:2 65:15
<b>recommend</b> 140:10	<b>relates</b> 98:8	<b>rendering</b> 116:6	<b>requires</b> 78:15	67:17 68:17,21
172:19	<b>relationship</b> 121:12	<b>repeated</b> 105:6	128:21	170:6,9
<b>recommendation</b>	<b>relay</b> 70:10 75:5	<b>repeatedly</b> 112:17	<b>rerun</b> 100:3	<b>Rick's</b> 97:15
70:14 73:1 75:13	<b>releasable</b> 116:12	<b>report</b> 3:9 49:17	<b>reservations</b> 47:17	<b>ridiculous</b> 111:11
75:20 79:9 151:8	<b>release</b> 15:18 48:20	52:8 54:3 70:15	<b>reserve</b> 68:7	<b>right</b> 18:12 19:12
156:12	49:22 50:1,14	71:16 72:14 79:2	<b>resist</b> 162:7	20:12 27:5 30:22
<b>recommendations</b>	51:19 104:18	93:6 94:4,20	<b>resolve</b> 120:18,19	33:20,21 36:2,20
44:7 50:20 70:4	<b>released</b> 49:22	103:2,4,6,16	174:16	37:6 44:4,14,16
71:14 72:6,19,20	116:14	108:3 115:22	<b>resolved</b> 69:4	48:21 49:3 57:19
74:8,11 76:22	<b>releasing</b> 62:5	132:6 136:19	<b>resources</b> 136:4	64:2,15 65:8,9
81:1 93:2,3 96:13	<b>reload</b> 150:11	139:12,14,20	137:21	68:7 77:6 79:20
103:18 104:17	<b>relocatability</b>	140:10 141:10	<b>respect</b> 12:19 41:2	81:7 86:5 87:8,17
139:3,4,10,17	71:21	145:20 155:13	132:9,15 133:3	87:20 90:1 92:17
140:8 143:13	<b>relocate</b> 70:14	156:2,14,19 157:1	135:7 138:15	92:22 96:1 103:13
145:5 163:12,13	71:16 72:12,13	157:13 160:11,20	140:7 172:1	105:1 108:20
183:12	73:4 81:14,14	160:22 178:11	<b>respectful</b> 7:6	114:7,14 115:9
<b>recommended</b> 51:8	84:13 93:8 141:14	180:22	<b>respects</b> 64:5	117:3 118:7
81:5 82:12 95:6	155:9	<b>reporting</b> 156:22	<b>respond</b> 68:1	119:11,11,19
99:11 115:15	<b>relocated</b> 70:21	<b>reports</b> 7:19 30:16	125:13	125:6 137:17
140:11 172:6	77:9,15 138:21	45:15 104:13	<b>responded</b> 142:7	139:19,21,22
<b>recommending</b>	<b>relocates</b> 78:2	135:20 136:18	<b>responses</b> 20:13,14	147:19 153:9,20
79:17 80:1 145:12	<b>relocating</b> 72:18	140:7 141:5 145:3	20:21	167:5,6 180:13,15
<b>record</b> 19:19 20:8	77:20 82:7	173:18 180:17	<b>responsibilities</b>	180:21 182:1
126:11	<b>relocation</b> 44:22,22	<b>report's</b> 103:17	15:9	186:4,20
<b>recording</b> 8:11	73:14 77:17,21	<b>represent</b> 25:3	<b>responsibility</b> 36:2	<b>rightfully</b> 180:1
<b>red</b> 146:7	78:13,16 79:1,13	<b>representative</b> 27:9	<b>responsible</b> 8:1	<b>risk</b> 20:11
<b>redone</b> 158:19	83:18 87:7 88:21	<b>represented</b> 43:17	142:4	<b>road</b> 34:13 129:6
<b>reducing</b> 158:4	107:15,17 131:3	43:19 145:13	<b>responsive</b> 124:1	152:1 176:5
<b>redundancy</b> 69:13	139:15 144:14	<b>representing</b> 34:17	<b>rest</b> 52:20 53:3	<b>roadmap</b> 41:8
<b>reengineer</b> 17:3	146:14,21 173:20	<b>reproduce</b> 43:12	72:20 94:4 95:2	174:12
<b>refer</b> 74:7	<b>relocations</b> 146:12	<b>Republicans</b> 13:2	132:20 153:9	<b>Roberson</b> 2:10
<b>referred</b> 137:5	<b>relooked</b> 47:16	<b>request</b> 35:2 94:9	<b>restricted</b> 22:12	62:10,13,14 84:1
<b>refers</b> 124:9	<b>reluctant</b> 113:13	94:15	<b>result</b> 136:7 152:17	84:15 85:1,9,12

111:15 112:9 156:17 178:19 182:17 <b>ROBERT</b> 2:21 <b>role</b> 26:15 <b>room</b> 1:18 20:4 32:16 127:4,5 151:2 186:6,7,9 <b>Rosston</b> 1:22 2:2 4:3 8:6,22 9:5,8 13:16 26:22 27:10 30:19 38:1 40:14 43:9 45:3 59:6 61:13 62:1,8,12 65:12 68:16 85:5 101:18 106:21 107:4,9 111:13 116:21 124:3 127:12,18 138:9 148:14 153:2,14 153:17 154:22 156:13 161:2 162:19 169:18 171:21 172:15 173:3,7 176:12 178:18 180:9 184:3 185:9 186:19 <b>roughly</b> 158:22 <b>rule</b> 29:17 <b>rulemaking</b> 12:20 12:22 57:9 164:21 165:13 <b>rules</b> 13:5 42:12 57:9 58:22 129:2 <b>rumor</b> 171:10 <b>run</b> 6:20 11:1,4 60:18 99:20 151:19 <b>running</b> 13:13 <b>Rush</b> 2:11 9:6,6	<b>satellite</b> 46:1,22 47:2,8,21 49:12 49:19 54:2 56:17 57:14 58:4,6,6 66:6 <b>satellites</b> 53:7,21 160:8 <b>saw</b> 97:19 104:8 173:5 <b>saying</b> 42:14 43:11 83:7 85:15 86:19 87:14 103:16 118:18 123:4 125:18 126:10 149:9 181:11 <b>says</b> 50:16 57:17 60:4,21 70:15 75:20 76:8 81:22 83:22 88:13 92:5 94:16 96:4 115:12 140:1 151:8 154:4 <b>SC</b> 134:2 <b>scenario</b> 38:10 115:3 118:13 119:12 <b>scenarios</b> 119:10 <b>schedule</b> 149:9,10 <b>scheduled</b> 161:7 <b>schemes</b> 149:15 <b>scope</b> 62:20 78:19 102:4,6 139:3 143:11 <b>seat</b> 170:7,9 <b>SEC</b> 4:14 127:15 127:19 <b>second</b> 15:15 18:1 18:9,21 47:1,20 49:17,21 51:19 59:16 73:21 79:15 90:17 92:4 94:1 95:14 96:4 99:10 112:1 120:3 159:5 166:12 173:1 179:21 <b>secondary</b> 87:17 89:8,12 156:2 <b>seconding</b> 184:10	<b>seconds</b> 149:6 <b>secret</b> 27:15 <b>Secretary</b> 2:15 <b>section</b> 25:3 50:4 <b>sections</b> 14:6 <b>sector</b> 43:19 60:4 60:22 183:7 <b>secure</b> 179:15 <b>security</b> 15:9 34:8 108:6 125:6 147:8 147:17 150:4 179:7 <b>see</b> 11:12 15:1 23:12 37:11 38:6 39:11 58:12 60:19 69:12 74:2,13,14 81:6 95:7 96:14 97:15 99:11 101:3 102:1 103:9 105:6 106:17 108:2 127:6 130:3 172:14 176:8 183:19 <b>seen</b> 65:18 163:18 <b>segmenting</b> 108:10 108:11 <b>segments</b> 102:10 <b>select</b> 29:3,4 <b>selected</b> 21:10 22:21 25:14 26:4 26:7,18 132:19 <b>self</b> 29:3 152:9 <b>self-critical</b> 153:1 <b>self-evident</b> 72:8 82:16 <b>sell</b> 19:14 <b>semantics</b> 97:4 <b>send</b> 163:6 185:17 <b>senior</b> 126:14 <b>sense</b> 19:5 26:1 66:22 72:9 80:4,5 91:10 110:9 <b>sensitive</b> 51:16 142:4 179:7 <b>sensitivity</b> 146:1 179:6 <b>sentence</b> 131:10	155:11 <b>sentences</b> 185:15 <b>separate</b> 88:3 <b>separated</b> 76:8 <b>separately</b> 157:20 <b>separation</b> 104:3 105:13 116:6 <b>sequestration</b> 35:18 171:10 <b>serious</b> 149:1 171:13 <b>seriously</b> 9:16 121:7 126:16 147:13 <b>seriousness</b> 41:9 <b>serve</b> 12:12 <b>served</b> 60:17 <b>service</b> 4:7,22 5:6 13:8 <b>services</b> 30:8 50:19 144:9 <b>sessions</b> 118:5 <b>set</b> 14:21 20:5 36:12,17 37:13 49:7 58:1 64:13 73:21 119:4,6,19 150:22 158:18 178:7 183:20 <b>sets</b> 42:11 <b>setting</b> 13:5 37:4 <b>set-up</b> 43:13 <b>seven</b> 95:8 <b>shake</b> 67:13 <b>shape</b> 184:20 <b>share</b> 10:20,20 35:7 56:13,21 57:18 58:17 61:18 64:5 77:11 84:16 85:10 85:16,18,20 100:9 104:7 110:18 144:3 154:6 181:8 <b>shared</b> 7:7 104:15 134:1 <b>sharing</b> 11:7,8,8 17:8 28:7 31:20 35:1 36:1,4 38:13 42:12 44:21 58:1	65:4,8 71:7 73:15 73:18 81:11,12,17 82:1,10,17 83:19 84:3,4,6,7,18,19 84:22 86:8 91:14 93:14,15 95:10,11 95:12,13 96:3 100:19 105:7 108:5 116:4 128:14 129:1,2 130:8,22 131:22 133:11,19,20 134:5 135:17 136:16 143:5 145:17 148:21 149:15 150:15 151:18 152:7 158:16 160:10 167:1 170:14,18 172:8 176:1,20 177:13 178:7 179:1,8,17 180:2 <b>Sharkey</b> 2:19 20:3 21:19 26:3 27:4 40:17 <b>short</b> 37:18 50:11 121:4 156:19 173:22 181:20,21 <b>short-term</b> 21:4 <b>shot</b> 121:14 <b>shove</b> 64:6 <b>show</b> 64:22 65:1 151:1 <b>side</b> 44:6 57:19 58:1,21 89:15 151:13,14 154:11 178:4 <b>sides</b> 43:21 55:4 69:15 83:11 133:6 181:3 <b>Siemens</b> 172:13 <b>sign</b> 20:10 21:1 28:21 <b>signal</b> 134:20,21 <b>signed</b> 19:2 21:2 123:6,7 <b>significant</b> 80:19
<b>S</b>				
<b>S</b> 2:5 <b>safe</b> 12:11 77:7 <b>safety</b> 5:8 148:5 <b>Sandy</b> 142:7				

168:10	<b>software</b> 70:11	125:18 127:6	174:21 178:20	<b>status</b> 49:6 69:20
<b>silly</b> 110:9	<b>sold</b> 89:9	137:3 149:11	179:5	<b>statutory</b> 146:10
<b>similar</b> 73:2 77:11	<b>solid</b> 7:8 135:21	154:18 169:22	<b>spending</b> 119:12	147:9
82:4 93:4 94:13	<b>solution</b> 18:8 43:8	170:21 174:13	<b>spillover</b> 177:15	<b>stay</b> 32:15 82:6
94:22 95:15	150:13 151:9,20	178:19 181:5	<b>spoke</b> 23:21 45:21	84:14,15 175:19
<b>simply</b> 158:17	155:10,15	182:9 185:16,20	<b>spoken</b> 33:15	175:20
<b>single</b> 35:15 131:10	<b>solutions</b> 5:15 15:7	<b>sought</b> 122:9	<b>spots</b> 146:13	<b>step</b> 22:11 27:11
<b>sir</b> 23:22	36:4 164:2 175:4	<b>sound</b> 124:12,15	<b>Sprint</b> 144:13	29:4 33:11 103:2
<b>site</b> 61:11 64:9,21	<b>solvable</b> 18:15	<b>sounded</b> 85:2	<b>squander</b> 180:15	137:17 164:3
<b>sites</b> 54:13,14,15	<b>solve</b> 6:21,22 7:5	<b>sounding</b> 124:19	<b>square</b> 4:17	173:11 181:17
57:15,16 59:9,11	39:17 128:19,22	<b>sounds</b> 55:7	<b>snatched</b> 171:11	<b>steps</b> 3:12 19:18
59:14,17,19,19,22	129:14 185:8	<b>sourced</b> 92:7	<b>staff</b> 7:16 35:13	161:5 173:12
62:3 74:21 99:12	<b>solves</b> 128:4	<b>speak</b> 8:11 19:17	121:2	174:7
99:13 130:20	<b>somebody</b> 23:1	25:8 113:20	<b>stakeholders</b>	<b>Steve</b> 2:19 20:2
132:19 133:1,10	25:18 55:16 124:9	<b>speaking</b> 25:19	131:20 156:9	21:19 24:14 25:7
142:14 152:15	<b>somebody's</b> 55:7	<b>special</b> 4:18 29:16	181:2 183:15	40:17 65:9 123:7
157:9,12,13,15,18	<b>someplace</b> 127:5	86:8	<b>STANCIL</b> 2:12	<b>sticking</b> 90:4
157:20 158:3	143:8	<b>specific</b> 80:4	<b>standardized</b> 114:8	<b>stiff</b> 42:21
<b>siting</b> 60:8	<b>somewhat</b> 55:13	103:15 131:13	<b>standards</b> 114:18	<b>stop</b> 23:18
<b>sits</b> 63:1	68:13	139:3 145:12	149:22 151:15	<b>stopping</b> 153:13
<b>situation</b> 34:15	<b>soon</b> 149:10	146:18 168:9	<b>standpoint</b> 19:20	<b>stream</b> 113:10
66:19 67:15 78:1	<b>sooner</b> 42:13 126:2	170:3	21:9 31:19 174:15	<b>stretch</b> 19:12
81:16 95:4 110:20	127:9 182:5,8,12	<b>specifically</b> 109:19	176:7	<b>STRICKLING</b>
<b>situations</b> 76:3	<b>sore</b> 146:13	110:3	<b>stands</b> 49:7	2:15 4:14 127:15
81:13 82:18 95:22	<b>sorry</b> 8:17 62:9	<b>specify</b> 130:6	<b>stark</b> 105:19	127:19
111:10 141:2	65:15 90:10	<b>spectrum</b> 1:3 7:22	<b>start</b> 14:9,21 17:10	<b>strike</b> 66:10 85:15
<b>six</b> 4:16 50:10 93:3	106:20 120:14	9:21 10:21 12:19	27:13,18 49:10,13	99:3
93:21	123:20 124:3	12:21 16:14 31:14	56:1 69:1 70:12	<b>strive</b> 162:13
<b>Sixty</b> 147:4	127:11 132:10	31:16,17,18 35:7	124:13 125:8	<b>strong</b> 48:2 81:20
<b>size</b> 99:17 158:4	134:21 148:12	35:8 41:3,16	148:11 151:22	<b>stronger</b> 141:9
<b>skipping</b> 153:4	155:14 161:16	42:10 43:1 45:10	<b>started</b> 33:19,20	<b>strongly</b> 140:18
<b>slide</b> 46:3,4,18	178:11,12,14,14	64:7 66:16 71:5	160:5	<b>struck</b> 111:10
55:14 57:4 70:1	178:14	73:5 79:1,8,14	<b>starting</b> 182:19	<b>structural</b> 150:20
74:12,14,15 78:12	<b>sort</b> 11:6 14:6 16:9	86:3 88:21 89:14	<b>state</b> 5:4,5 142:5	<b>structure</b> 7:8
78:14 81:10 82:14	23:17 27:15 37:17	122:15 124:22	<b>statement</b> 83:14	<b>structures</b> 151:16
82:14 92:1 93:2	39:5,10 46:13,14	126:4 128:4,9	122:12	<b>struggle</b> 96:15
95:8 96:12,12	47:15 48:18 49:9	129:3 131:4,6,9	<b>statements</b> 78:14	<b>studies</b> 52:17 53:14
<b>slides</b> 46:5,10 47:6	51:11,20 53:18	131:14 140:11,21	<b>states</b> 40:8 53:8	63:7 135:6
48:8 54:7 72:14	56:8 57:2,4 58:10	140:22 141:13,21	101:7,9,11	<b>study</b> 48:9 51:17
<b>slippage</b> 162:12	58:16,21 66:9	141:22 142:21	<b>statewide</b> 75:3	53:10 77:12,12
<b>slowly</b> 99:7	67:10 73:12 78:19	144:8,19 146:6,9	101:5	87:2 98:2 99:1
<b>small</b> 111:1 116:2,8	81:19 82:2,21	146:11 147:4,10	<b>station</b> 61:5 159:16	118:19 132:7,8
<b>smaller</b> 34:3 81:2	83:6,13 90:13,18	151:10 152:16	<b>stations</b> 47:3,22	133:15 134:9,17
104:9	90:19,20 91:1,14	154:2,5,7,9,14,20	49:20 54:2 134:10	135:21 136:1
<b>smart</b> 100:17	91:16,18 108:16	155:11 165:2	160:9	149:1 184:13
<b>smooth</b> 69:12	118:21 119:9	166:16 167:1,16	<b>statistical</b> 60:6,21	<b>stuff</b> 12:8 52:17
<b>sniper</b> 146:6	120:7 121:18	168:15 170:18	66:8 68:9	57:3 98:9 107:21

129:13 144:3	40:16 64:22	131:2,2 132:3	170:2 181:7	127:9 182:3,5,5,8
149:13 170:14	113:22 114:1	134:15 138:16,16	<b>talked</b> 22:20 37:4	182:10,17,19,19
171:1,4,6,19	120:12 123:5,11	142:11,17 143:7	48:9 58:9 64:20	<b>tenable</b> 104:19
<b>sub</b> 104:16,22	123:19 125:10	144:11 147:1,20	95:9 100:1 183:3	<b>tens</b> 149:5
106:13,16 115:18	180:10 182:21	168:1 177:7,9,10	<b>talking</b> 10:7 14:9	<b>tentative</b> 107:22
<b>subject</b> 51:11 68:14	<b>summarize</b> 51:11	177:12,22 178:2	29:9 31:4 33:2	108:21
170:5	<b>sums</b> 57:5		43:14 49:13 68:14	<b>ten-year</b> 124:13
<b>subjects</b> 166:10,21	<b>Superstorm</b> 142:7		91:11 98:17 131:5	125:8 129:16
<b>submission</b> 47:18	<b>support</b> 25:19 26:9		143:4,6 146:18	181:14
<b>submitted</b> 160:20	171:1 172:22		151:11 154:9	<b>TERESA</b> 2:17
<b>subscribers</b> 12:3	<b>supposed</b> 173:9		170:13	<b>Teri</b> 2:17 4:19 5:1
<b>subsequently</b> 88:11	<b>sure</b> 9:14 12:10		<b>talks</b> 73:17 130:12	5:10,14,21 9:18
<b>substantial</b> 145:8	21:8,11 27:11		<b>tangible</b> 184:19	9:19 13:18 14:2
<b>sub-band</b> 106:12	42:1 44:10 49:6		<b>target</b> 122:11	40:16 43:11 45:4
<b>sub-bands</b> 106:8	50:21 56:16 82:17		<b>tasked</b> 15:17	104:14 121:1
<b>sub-groups</b> 138:12	87:12 90:21 95:21		<b>taxonomy</b> 76:17	183:3
138:13	97:6 102:14		77:16	<b>Teri's</b> 136:13
<b>sub-working</b> 102:9	112:14 114:6,10		<b>team</b> 9:22 21:19	<b>term</b> 5:1 37:18
102:16 103:3,17	116:21 117:1		22:2 23:3 45:5	77:17,18 84:18
103:19 104:9,13	125:1 127:14		102:13 105:2	91:3 177:13
105:7,9 106:15	146:6 155:20		183:19 185:14	181:20,21,22
107:7,22 112:12	156:8,20 157:10		<b>teams</b> 15:3 121:6	185:8
112:18 115:15,19	169:19 175:1		<b>technical</b> 26:9	<b>terminals</b> 47:22
133:14 135:8,19	181:6 184:6		31:14 92:21 98:6	54:2 64:9
136:18 137:7	185:18 186:13		99:3,5,7 104:10	<b>terms</b> 5:17 7:16
140:7,9 145:3	<b>surely</b> 152:10		107:13 145:16	11:7 15:8,19
156:4	<b>surprising</b> 112:10		<b>techniques</b> 49:18	16:20,22 17:7
<b>success</b> 12:1	173:3		148:22 150:15	18:4 21:9 31:4
<b>successes</b> 13:14	<b>surprisingly</b>		151:18 176:20	34:20 35:14 40:12
<b>successful</b> 11:3	130:21		179:13	57:22 58:21 64:21
128:8	<b>system</b> 70:18 81:13		<b>technology</b> 144:6	72:5 77:4 78:13
<b>successfully</b> 111:5	82:7 84:10 94:8		172:4 177:2	81:21 91:20 96:20
<b>succinct</b> 160:22	115:5 118:10,10		<b>telecom</b> 19:11,13	102:4,6 121:12
<b>sufficiently</b> 158:8	124:11 130:5,10		<b>telemetry</b> 109:18	131:2 135:17
179:14	134:1 142:5,6,7		<b>telemetry-based</b>	162:9
<b>suggest</b> 127:2	143:18,22 144:1		110:17	<b>terrain</b> 135:2,5,7
142:20 159:20	147:21		<b>telephone</b> 8:14	<b>terrain-dependent</b>
<b>suggested</b> 60:16	<b>systems</b> 11:1 12:5		186:10	135:13
126:7	12:10 17:5 32:22		<b>tell</b> 5:21 39:15	<b>terrific</b> 129:4
<b>suggesting</b> 73:3	33:1,2 70:7,10		117:5 153:18	<b>territorially</b> 109:19
127:3	71:9,21 72:12		161:10,12 163:1	110:20
<b>suggestion</b> 31:9	73:1,3 75:5 78:17		163:16	<b>territory</b> 11:6
180:8	84:8 102:7,10		<b>temporarily</b> 175:20	<b>test</b> 6:21 36:15
<b>suggestions</b> 34:20	104:2 109:17,18		<b>ten</b> 42:19 43:1	159:7,19,20
40:9 53:9	109:21 110:2,4,6		101:8 122:6,12,17	<b>testing</b> 36:13,16,18
<b>suggests</b> 149:11	110:17,22 111:3		122:21 124:8,11	83:17 96:9 159:11
<b>Sugrue</b> 2:12 40:15	116:3 130:17,19		125:1,22 126:9	<b>text</b> 47:7 49:1,2,4

50:8,10,11 51:20 52:2 53:14 55:19 <b>texts</b> 47:12 49:8,11 <b>thank</b> 9:22 10:3 13:11 14:2,12 15:16 16:4 21:19 23:15 37:21 43:8 45:3,4 65:14 68:16,17 69:15 79:10,20 81:7,9 89:18 101:19,19 102:11 120:10 132:14 138:10,11 152:11 153:15 156:12,13 158:2 184:2,3 186:20 <b>thanks</b> 9:14 13:15 13:16 68:19 93:1 122:4 172:22 180:7 185:9 <b>theme</b> 57:2 <b>themes</b> 125:17 <b>they'd</b> 48:4 87:21 89:8 <b>the-spot</b> 143:15 <b>thing</b> 15:15 46:16 47:15 48:6 49:15 52:5 53:12,17 58:4 68:2,11 70:2 71:10 73:13 85:21 91:1,19,20 95:8 96:9 114:20 118:8 120:3,6 128:14 137:15,16 138:8 148:17 152:3 153:3 170:16 174:9 181:14 184:17 <b>things</b> 5:20 6:3 8:10 11:9 14:4 17:21 19:14,16,18 30:13 31:3 33:22 36:1 37:3 46:2 51:1 52:4 54:8,19 54:21 56:6 60:13 63:10,13 65:17 88:16 94:10 95:19	96:1 98:8 103:11 108:18 109:13 138:6 140:1 150:2 163:16,20 170:4 175:19,20 176:21 177:16 178:2,6 184:21 185:2 <b>think</b> 5:11,14,16 6:1,20 11:2,11 13:20 14:11,16,17 15:1 16:7 18:8,9 20:3 23:8,10 25:8 25:14 26:17 29:1 29:5 31:19 33:10 33:12,19,20 34:7 34:13,18 35:15 36:7,22 37:2,9,16 37:19 39:19 40:11 42:17 45:7,16 48:14 51:12 52:9 52:18 53:1 54:22 56:8,12 57:5,22 58:4,15,16 59:4 60:2 61:15,16,17 63:3,12,19 64:4 64:19 65:6 69:17 71:11 74:4 75:2 78:10,13 79:6 81:6,10 86:1 87:4 88:19 89:2,17 90:5 92:20 93:1 97:15 98:5 100:22 101:20 102:3 105:21 110:15 112:21 120:4,13 120:22 121:7,9,22 122:4,11,22 123:2 125:4 127:18 128:3,6,8 130:17 133:4,5 135:19 136:8,11,14 137:8 137:9,11,15,18 138:3,8,8,13 141:3,4,19 143:1 143:6 145:10,19 146:2,13,17,18,20 147:13,15,16	148:21 151:19 152:2,12 153:3 154:3,8 155:4 156:1 157:3,21 162:9 163:3,13,14 163:18 164:3,17 165:18,21 166:13 166:20 168:12,14 169:18 170:10 171:7,8,13,16 172:1,10 174:8,11 174:15,16,17 175:3,15 176:3,5 177:21 178:21 179:18 180:6,18 180:22 184:7,16 185:13,16 <b>thinking</b> 31:5,9 33:15 90:12,19 128:9 <b>third</b> 47:3 73:16 81:10 92:2,4,5 134:13 166:13 173:2 <b>thirst</b> 63:8 <b>THOMAS</b> 2:5,12 <b>thought</b> 16:3 29:17 29:18 46:6 54:16 69:21 74:17 107:12 119:17 126:19 135:12 153:6 162:7 170:17,19,20 173:10 <b>thoughts</b> 44:2 166:7 <b>three</b> 45:17 46:1,18 54:13 59:9,11 63:17 70:8 73:17 74:15 99:13 138:2 144:13 174:4 185:15 <b>threshold</b> 134:19 <b>throwaway</b> 43:5 <b>thrown</b> 147:3 <b>thunder</b> 79:6 <b>Thursday</b> 4:15	48:7,11 49:10 56:2 <b>TIA</b> 86:4 <b>ticket</b> 186:18 <b>ticking</b> 41:6 <b>tiger</b> 183:19 <b>time</b> 10:22 12:9 14:3 15:16 20:11 25:5 32:21 35:8 35:11 41:2 46:11 48:12 55:16 60:6 61:1 68:8 69:11 69:22 72:13 81:15 82:6 88:13,15 94:5 96:22 101:16 108:18 115:22 119:12 120:17,19 121:2 122:12 124:20 125:14,15 126:19 128:15 149:7 153:9 156:18 160:9 162:2 163:4 164:14 168:5 173:8,22 179:16 186:2,4 <b>timely</b> 6:22 7:1,3 17:14 <b>times</b> 11:11 57:14 134:14 140:16 142:3 149:4 <b>time-based</b> 133:18 133:20 172:8 185:2 <b>tired</b> 147:2 <b>today</b> 4:19 7:19 10:7 14:13 22:7 34:9 136:13 148:22 149:16 150:20 169:20 170:1 <b>today's</b> 6:8 7:12 16:14 <b>told</b> 49:21 170:17 <b>Tom</b> 2:19 6:13,15 8:8 9:12 13:16 15:16,16,22 18:4	37:2 40:14,16,21 64:15 78:4 102:12 102:20 107:19,21 112:22 113:18,22 119:20 122:4 123:5 141:4 151:10 153:3,12 156:7 176:13 180:9 <b>tomorrow</b> 22:7 149:11 <b>Tom's</b> 14:17 97:16 112:2 155:7 <b>tools</b> 51:5 91:15 <b>top</b> 70:22 74:14 105:14 116:7 134:7 159:1 <b>topic</b> 18:9 75:11 87:2 170:11 176:22 178:22 179:10 <b>topics</b> 3:15 169:20 176:15 177:19 <b>tops</b> 168:3 <b>total</b> 74:5 101:9,10 117:21 <b>totally</b> 40:2 <b>touch</b> 166:6 <b>touched</b> 148:17 <b>tough</b> 165:22 <b>tower</b> 60:8 61:8 64:21 <b>towers</b> 64:11 <b>track</b> 56:4 <b>train</b> 33:3 168:20 <b>training</b> 33:7 107:14 109:18 130:5 150:5 168:22 <b>Tramont</b> 2:13 87:14,15 88:17 89:18 136:10 144:21 162:18,22 178:10 <b>transfer</b> 48:20 86:3 86:12 87:10 <b>transferred</b> 86:10
---	---	---	---	---

<b>transition</b> 79:5,12 90:19 165:14 173:13 174:21 175:21	164:22 174:5,9,16 183:11	27:1,22 31:8 76:17 125:3 165:11	<b>useful</b> 48:16 54:16 64:18 109:15 152:19	<b>volunteers</b> 24:16 24:17
<b>transitional</b> 71:7 81:11,12,16 93:14 95:16 96:3	<b>TTNT</b> 133:3 144:1	<b>understood</b> 112:22 113:7 132:1	<b>user</b> 89:12,12	<b>vulnerability</b> 180:3
<b>transitioning</b> 44:22	<b>TUESDAY</b> 1:10	<b>undesirable</b> 116:7	<b>users</b> 89:6 122:20	<hr/> <b>W</b> <hr/>
<b>transmitter</b> 49:19	<b>tune</b> 76:4,4 94:10 94:16 176:9	<b>unfortunately</b> 48:12 51:14 56:2	<b>uses</b> 115:1 179:4,5	<b>wait</b> 90:15 127:13
<b>transmitters</b> 47:2 105:17	<b>tuning</b> 94:8 134:10	<b>unique</b> 109:22 110:19	<b>usually</b> 61:2	<b>walk</b> 21:7,15 24:8 104:22
<b>tremendously</b> 42:3	<b>turn</b> 4:12 8:3 74:12 90:22 136:11	<b>United</b> 40:8 53:8	<b>utilizations</b> 84:16	<b>walks</b> 175:22
<b>tried</b> 17:15 42:5 69:5 83:6 124:1 128:7 129:21	<b>turned</b> 22:4	<b>universal</b> 13:7	<b>utilize</b> 150:14	<b>wander</b> 66:6
<b>trigger</b> 58:11	<b>two</b> 14:6 18:7,13 48:8 69:21 70:1 101:7 113:9,10 115:4 131:10 132:2 133:18 137:18 140:12 144:13 148:7 155:14 167:13 171:16 183:6 185:15	<b>unlicensed</b> 152:15 167:4	<b>U.S</b> 1:1,19 53:19 109:19 110:16,19	<b>want</b> 6:7 9:12 13:17,19 14:2,8,8 15:13,15 16:4 17:10 21:8,18 24:8 25:2,7,12 28:2,16 34:14 35:20 40:20 41:1 42:15 50:14 55:8 57:20 59:18 61:7 64:9,14 65:14 66:2,9 74:6,7,19 74:19 75:6 79:6 83:17 92:17 97:11 102:18 107:19 111:14 119:14,21 125:11,14 127:20 127:21 131:19 136:3 138:11 139:7 141:18 144:22,22 146:6 150:13 152:11,15 152:20,20 153:17 155:2,7 161:8 169:19 180:10 186:16
<b>TRR</b> 76:4 78:1 84:8,9 95:15 97:12 101:11	<b>type</b> 31:10 97:11 106:20 108:9 110:2 114:8 151:3	<b>unmanned</b> 116:2	<hr/> <b>V</b> <hr/>	<b>wanted</b> 8:6,8,13 23:1,2 24:21 27:19 51:7 72:21 82:17 91:4 92:12 93:17 97:5 104:21 116:10 118:15 123:12 148:18 183:1 184:1,7
<b>TRRs</b> 71:14 73:20 73:21 74:2 75:17 93:2,5 95:5 96:9 97:12 99:13 100:17 101:6	<b>types</b> 111:10 115:1 163:16 183:15	<b>unpaired</b> 41:16	<b>vacate</b> 35:8 149:4	<b>wanting</b> 67:6
<b>trucks</b> 142:13	<b>T-Mobile</b> 40:16 113:18	<b>unprecedented</b> 152:22	<b>valid</b> 90:22	<b>wants</b> 28:10 52:3 66:5 83:1 185:8
<b>true</b> 14:12 147:7 175:16	<hr/> <b>U</b> <hr/>	<b>unsure</b> 62:21	<b>validating</b> 20:19	<b>warfare</b> 46:2 47:4
<b>trust</b> 42:8,9	<b>UAS</b> 111:1 116:8	<b>untangle</b> 72:4	<b>valuable</b> 42:3 72:2 111:17,22	
<b>trusted</b> 3:8 31:11 33:17 37:13 38:3 38:10,12,22 39:4 39:10 45:9 62:16 65:6 183:4,12	<b>UE</b> 135:10	<b>update</b> 46:10 59:16 69:20 94:3,3 101:5 158:10 178:13	<b>value</b> 68:9 183:10 184:19	
<b>try</b> 5:15 6:17 25:22 34:4,5 41:11 56:5 73:4 81:1 90:16 120:8,8,9 133:16 150:10 153:21,21 155:3 160:15 182:13	<b>ugly</b> 69:9 82:21 89:22 101:15	<b>updated</b> 59:15 71:20 101:8	<b>values</b> 91:9 114:3 142:14 176:4	
<b>trying</b> 35:3,19 38:15 63:5 69:4 78:11 80:7 85:15 86:1 109:5 118:20 119:3,10 121:18 125:2 127:10 129:11 152:21	<b>ultimately</b> 44:19 145:21 164:19 175:5	<b>uplink</b> 47:2,21 49:12,19	<b>vastness</b> 130:19	
	<b>uncertainty</b> 113:11	<b>uplinks</b> 46:1	<b>vendor</b> 172:12	
	<b>unclassified</b> 31:7	<b>upper</b> 41:18 42:22 77:20 78:7 113:1 120:19	<b>vendors</b> 133:22	
	<b>underlying</b> 147:21	<b>urge</b> 5:13	<b>verify</b> 51:4	
	<b>understand</b> 18:22 19:10 38:4 48:19 52:20 67:6 95:11 110:7 114:20 120:14 129:15 130:8 134:2 138:14 159:9	<b>USA</b> 2:21	<b>Verizon</b> 41:7	
	<b>understanding</b>	<b>use</b> 22:13 23:11 29:11 34:4 37:12 39:10 60:5 71:10 86:3 95:6 96:21 96:21 98:13 100:1 110:10 114:9,9,17 127:5 128:12 141:22 147:4 149:9 166:15 167:15,22 168:15 169:1 177:1,22 185:1	<b>Verizon's</b> 113:18	
		<b>useable</b> 45:11	<b>versa</b> 142:18	
			<b>version</b> 133:4	
			<b>versus</b> 106:3	
			<b>vet</b> 22:16 23:12 159:11	
			<b>viability</b> 96:10	
			<b>viable</b> 105:15	
			<b>vice</b> 142:18	
			<b>view</b> 116:9 133:11 164:22	
			<b>views</b> 106:3,4	
			<b>virtue</b> 15:1 20:5,20 37:9	
			<b>vital</b> 11:1 12:10	
			<b>volunteer</b> 24:21 28:18	
			<b>volunteered</b> 24:12 25:13	



50:9,12,17 55:18	110:2	118:2,3,22 119:3	<b>wide</b> 156:11	89:16 94:19 95:6
<b>warmed</b> 16:9	<b>weary</b> 83:12	119:7,10,12 120:4	<b>willing</b> 35:5,9	96:13 98:22 99:8
<b>warn</b> 86:14,16,17	<b>webinar</b> 16:10	121:3 122:5	56:13 61:18	99:11 101:14
<b>warning</b> 153:8	<b>website</b> 122:9	123:22 124:9	118:22 169:10,12	118:13,21 119:2,4
<b>Warren</b> 2:13 87:3	<b>week</b> 42:13 46:4,6	125:2,7,15 126:22	<b>willingness</b> 16:5	119:6,8 124:14
87:4,12 88:18,19	54:3	127:3,18 128:5,13	<b>wind</b> 150:10	128:22 136:5
102:1 106:13	<b>weeks</b> 69:21 162:10	129:11,12,14	<b>window</b> 41:12	137:12 138:2
107:2,6,11,17	<b>weight</b> 122:1	143:4,12 150:10	182:18	139:15 141:1
109:2 112:8,14	<b>welcome</b> 3:2 4:3	153:4 154:13,19	<b>winner</b> 4:11	148:3,20 149:21
115:10 120:10	5:10 6:8 9:18	156:7 158:4	<b>wipe</b> 61:8	150:8 151:15
127:11 130:4	181:5 184:12	161:20 163:7,10	<b>wire</b> 68:22	155:13 157:7
132:14 138:18,22	<b>went</b> 24:13 26:7	163:11 166:2	<b>wireless</b> 12:4,5,7	159:7 160:6,17
139:7 140:6,15	48:13 76:3 109:14	167:6 170:21	26:19 48:14 54:16	163:15 164:1
141:3 148:12	140:15 155:13	171:4 173:6,7,8,9	56:15 92:8,9	165:5,17,18 166:6
155:2 171:22	<b>weren't</b> 17:17	174:19 175:6,7,13	106:3 133:21	167:6,11 168:10
173:2 183:1	59:17 123:21	180:14,19 181:13	134:7	169:9,16 170:3
<b>Washington</b> 1:21	124:21	181:15,22 185:22	<b>wise</b> 53:2	171:2 174:17
5:2 16:9 126:12	<b>we'll</b> 7:11 17:20	186:3	<b>women</b> 33:3 34:16	181:9 182:13
144:2	21:1,2 23:10	<b>we've</b> 6:10 7:2,4	<b>won</b> 5:1	183:2 184:8
<b>wasn't</b> 30:12 43:5	39:14 42:10,18	11:4 12:1 14:6	<b>wonder</b> 65:16,19	<b>workable</b> 58:19
48:17 107:4,11	43:13 44:6 45:8	16:15 19:20 20:13	67:12 177:18	100:20
108:5 112:10	47:11 49:13 62:6	20:14,18 23:8	<b>word</b> 48:2,4 81:20	<b>worked</b> 13:1,1
117:1 138:12	64:22 65:10 74:12	25:17 30:16 31:9	85:15 127:21	17:12 20:2 21:20
<b>watching</b> 65:18	92:5,18 94:19	31:15 33:19 35:11	<b>wording</b> 141:8	28:1 33:18 50:3
<b>way</b> 7:4,5,8 8:1	95:10 102:1,2	36:12,17 40:19	<b>words</b> 8:8 9:13	63:13 102:14
11:5 16:4 18:11	108:2 127:1 131:7	42:5 47:12 65:3,4	70:19 155:10	144:13
21:10 23:8,10	131:8,9 132:13	71:18 101:13	167:3	<b>working</b> 3:9 5:15
25:4 32:4 33:12	146:2 153:18	103:15 120:22	<b>work</b> 3:15 7:9,13	6:5,18 7:17 9:19
36:3 37:17 38:22	182:10	121:6 125:8 129:7	7:15 10:10,14	10:6,17 11:14
43:4,12 44:16	<b>we're</b> 5:10 6:19 7:1	129:9,21 130:6,21	11:13,17 13:6,11	12:18 13:20,21
58:17 60:17 67:8	7:9,18 9:10 10:7	133:15 150:14	13:22 14:5,20	14:4 16:15 22:22
73:2 75:15 84:12	11:6 18:18,19	153:22 154:1	15:4,7,19 16:5	24:11,12 26:4,6
98:19 101:4	20:19 23:13 30:18	157:4 159:13	17:10 18:20 22:9	26:10,13,15,20
104:19 105:4	31:22 32:21 33:2	160:4,19 163:18	24:16,22 27:21	27:12,18 28:2,14
117:10 120:1	34:13,14,19 35:3	164:20 165:19	30:14 31:14,17,18	28:18 30:6,16
125:18 129:9,12	35:5,9,16 37:10	166:17 168:10	32:4,10 34:2,20	32:11,20,21 35:12
148:4 150:17	44:19 46:18 47:12	169:15 174:10	35:6 36:5 37:6,9	35:15,22 37:15
164:5 165:11	51:12 53:15 55:19	<b>whatsoever</b> 83:3	37:10,20 38:3,6	38:8 43:6 45:15
169:14 171:5	56:8 57:6 62:6	<b>what-if</b> 119:9,12	38:18 39:3,12,16	45:16,16,22 46:19
<b>ways</b> 6:18 10:19	67:2,14 68:14,21	<b>Wheeler</b> 2:21	40:12,17,21 43:18	48:22 62:22 65:19
11:7 12:12 23:13	69:18 74:10 77:21	19:17 21:6,14	44:2,20 45:5,13	68:18 76:14 77:18
25:8 63:4 87:22	78:20 79:19,22	23:21 24:7,10	50:7 53:16,16	83:9 85:18 92:17
88:6 130:18	81:10 82:14 93:2	25:10	54:18 65:19 67:3	97:16,19 98:6,10
149:13 150:14	95:21 96:12,15	<b>whine</b> 35:19	68:12 69:4,15	99:3,5,7 100:10
151:15 180:6	98:10 99:6,6,6,8	<b>White</b> 41:14	74:9 76:22 81:5	101:21 102:3,17
<b>weapons</b> 110:3	101:20 103:13	121:17	82:12 83:9,14	103:4,8,21 104:10
<b>weapons-oriented</b>	111:16 117:20,22	<b>wholly</b> 40:2	84:20 86:2 88:18	104:17 105:1,9

106:7,9,14,18	130:1 183:13	<b>1401</b> 1:20	113:14 114:3,12
108:11 109:7	<b>years</b> 7:9 9:20	<b>1435</b> 132:4 155:22	120:15,18 121:10
111:19 112:5,18	34:12 40:1 42:19	<b>15</b> 128:20	150:11 180:12
115:19 118:22	43:1 52:18 63:7	<b>1525</b> 132:4 155:22	<b>25-inch</b> 61:6
120:7 125:8 127:1	120:20 122:6,12	<b>161</b> 3:12	<b>28</b> 99:14
129:7,22 130:15	122:17,21 124:8	<b>166</b> 3:15	<b>285</b> 116:17
132:17 136:11,19	124:11 125:1,22	<b>1695</b> 7:18	<b>290</b> 138:1
137:8,18 138:4	126:9 127:9	<b>1710</b> 126:2	<hr/>
139:2,4 145:19	128:20 130:3	<b>1755</b> 7:18 41:19	<b>3</b>
155:6 156:4,7,21	144:7,14 169:2,2	106:8 117:13,22	<b>3.5</b> 12:19 44:9,12
157:6 158:13	182:3,5,6,8,10,17	118:3 124:21	<b>3:42</b> 186:22
160:15,19 161:8	182:19,19,20,21	128:3 173:16	<b>30</b> 128:20 142:11
161:21 163:11,19	<b>yeoman</b> 5:6	184:9	<b>300</b> 116:17 137:22
164:5,8 165:6,9	<b>yesterday</b> 46:8	<b>1780</b> 77:20 106:9	<b>31</b> 3:8
172:2 174:2	<b>yield</b> 136:6	117:13,14 118:1	<b>35</b> 144:7
184:15	<b>York</b> 142:5,12	128:3 132:21	<b>38</b> 101:10
<b>workload</b> 51:1	143:18,20 147:22	154:11 173:16	<hr/>
<b>works</b> 43:12 86:15	<hr/>	<b>18</b> 1:11 157:12	<b>4</b>
100:9 114:16	<b>Z</b>	<b>1850</b> 77:21 117:15	<b>4</b> 3:2 79:15 98:7
162:13	<b>zone</b> 39:5 74:20	118:3 132:22	139:10,18
<b>world</b> 33:5 43:2	75:7,9,13 76:6,12	154:11	<b>4G</b> 12:2
52:20 53:3 91:4	76:13,18 78:6	<b>186</b> 3:18,22	<b>43</b> 3:10 101:10
110:11 111:4	82:2,5,6 94:15	<b>19</b> 143:20	<b>4830</b> 1:18
121:20	158:9	<b>1998</b> 53:10	<hr/>
<b>world's</b> 12:2	<b>zones</b> 73:19 74:6,11	<hr/>	<b>5</b>
<b>worried</b> 42:8 52:14	75:22 77:4,10	<b>2</b>	<b>5</b> 12:20 44:12 98:7
58:5 113:16	80:15 81:1 83:19	<b>20</b> 41:17,19 130:3	141:9 148:20
<b>worry</b> 162:20	86:9 89:5 93:19	<b>20-year</b> 150:13	<b>500</b> 124:7 126:21
<b>worst</b> 110:7 115:3	95:2,17 99:18	<b>2010</b> 12:16	128:1 182:4
149:6	100:4 143:2,3	<b>2013</b> 1:11	<b>55</b> 126:3
<b>worth</b> 41:16 122:1	157:18,19 158:5	<b>2014</b> 173:15	<b>560</b> 105:18
180:7	158:21,21 159:5	<b>2025</b> 78:15 132:3	<hr/>
<b>worthwhile</b> 44:14	<hr/>	141:20 154:12	<b>7</b>
157:5 158:16	<b>\$</b>	<b>205</b> 52:8 53:21	<b>70</b> 42:18 120:19
172:5,13	<b>\$15</b> 180:13	58:14	126:20 127:3
<b>worthy</b> 149:1 158:7	<hr/>	<b>2095</b> 154:15	154:19
<b>wouldn't</b> 38:15	<b>1</b>	<b>21</b> 155:14	<hr/>
89:9 127:8	<b>1.5</b> 135:11	<b>2110</b> 78:15 132:4	<b>8</b>
<b>wrap</b> 153:18	<b>1:00</b> 1:21	141:20 154:13,16	<b>8</b> 3:4 159:2
<b>wrapped</b> 162:14	<b>1:03</b> 4:2	155:14	<b>80</b> 41:19 142:12
<b>writing</b> 15:17	<b>10</b> 72:14 159:2	<b>22</b> 157:14 158:6	147:5
<b>written</b> 20:18	<b>100</b> 105:14 116:7	<b>23rd</b> 162:8	<hr/>
89:19 111:7	<b>11</b> 72:14 78:14	<b>2330</b> 162:8	<b>9</b>
<hr/>	<b>110</b> 87:5	<b>24th</b> 161:7 170:6	<b>9th</b> 4:17
<b>Y</b>	<b>12</b> 20:9 24:2,6 25:4	<b>24/7</b> 61:7	<b>9/11</b> 122:16
<b>yeah</b> 59:4	101:9	<b>25</b> 41:4 42:15 59:14	<b>90</b> 114:2
<b>year</b> 5:9 126:1	<b>13</b> 52:17 74:5 84:10	61:6 73:6 112:3	<b>95</b> 128:18
	<b>14</b> 3:6 52:17		

C E R T I F I C A T E

This is to certify that the foregoing transcript


In the matter of: Commerce Spectrum Management  
Advisory Committee Meeting

Before: NTIA

Date: 06-18-13

Place: Washington, DC

was duly recorded and accurately transcribed under  
my direction; further, that said transcript is a  
true and accurate record of the proceedings.

  
-----  
Court Reporter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701