

**AGREN BLANDO COURT REPORTING & VIDEO INC**

1

COMMERCE SPECTRUM MANAGEMENT ADVISORY COMMITTEE  
(CSMAC)

---

PRESIDENTIAL MEETING

July 27, 2011

---

The above-entitled meeting was held at Institute for Telecommunications Sciences, 325 Broadway, Conference Room 1107, Building 1, Boulder, Colorado, at 1 PM, before Martha Loomis, Certified Shorthand reporter and Colorado Notary Public, Court Reporting Office of Agren Blando Court Reporting & Video, Inc, 216 - 16th Street, Denver, Colorado 80202.

AGREN BLANDO COURT REPORTING & VIDEO INC

2

1 APPEARANCES:

2 KARL NEBBIA, Associate Administrator, NTIA  
3 BRUCE WASHINGTON, Designated Federal Official

3

CSMAC WORKING GROUP:

4

DR. BRIAN FONTES, Co-Chair

5

DR. LARRY ALDER

DR. DAVID BORTH

6

MR. MICHAEL CALABRESE

MR. MARTIN COOPER

7

MS. SUSAN CRAWFORD

MR. MARK CROSBY

8

MR. THOMAS DOMBROWSKY, JR.

MR. DAVID DONOVAN

9

MR. GARY EPSTEIN

MS. MOLLY FELDMAN

10

MR. MARK GIBSON

MR. DALE HATFIELD

11

DR. KEVIN KAHN

MR. DOUG MC GINNIS

12

DR. MARK MC HENRY

MR. ROBERT PEPPER

13

MR. CARL POVELITES

MR. RICK REASER

14

DR. CHARLES RUSH

MR. TOM SUGRUE

15

MR. BRYAN TRAMONT

MS. JENNIFER WARREN

16

APPEARING BY PHONE:

17

DR. HAROLD FURCHTGOTT-ROTH

18

MS. JANICE OBUCHOWSKI

MR. DENNIS ROBERSON, Co-Chair

19

DR. DANIEL STANCIL

DR. GREGORY ROSSTON

20

21

22

23

24

25

AGREN BLANDO COURT REPORTING & VIDEO INC

	PRESENTATIONS:	PAGE:
1		
2	Search for 500 MHz Subcommittee Report: By Gary Epstein; Carl Povelites	11
3		
4	Spectrum Sharing Subcommittee report By Larry Alder, Mark Gibson	66
5	Unlicensed Spectrum By Michael Calabrese	87
6		
7	Spectrum Sharing Innovation Test-bed By Eric Nelson	125
8	Public Presentation By Pierre de Vries	120
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

AGREN BLANDO COURT REPORTING & VIDEO INC

4

1 (Whereupon the following proceedings were had.)

2 CHAIR FONTES: Okay. Before we go around the table  
3 and introduce ourselves who are members of the committee, I'd  
4 also like to find out who is on the phone. Let's just do phone  
5 roll-call.

6 We know Greg's on the phone.

7 MR. WASHINGTON: We can't hear them, Brian.

8 CHAIR FONTES: We're having a hard time hearing at  
9 this end. I don't know if there is something they can do with  
10 the phones here, the volume on the phones.

11 Okay. So we heard from Harold. Let's just keep going  
12 until we try and figure out a solution so we can actually hear  
13 people.

14 Anybody else on the phone? We're going to have to  
15 wait a second until we get the phone to where we can actually  
16 hear people.

17 Having said that, let's just go around the table now,  
18 and everybody introduce themselves, who they're with. Then what  
19 I'd like to do is introduce everybody else that's in the room.

20 Go ahead, Karl.

21 MR. NEBBIA: Karl Nebbia. I'm with the NTIA Office of  
22 Spectrum Management.

23 MR. REASER: Rick Reaser, Raytheon.

24 MR. CALABRESE: Michael Calabrese, New American  
25 Foundation.

AGREN BLANDO COURT REPORTING & VIDEO INC

5

1 DR. MC HENRY: Mark McHenry, Shared Spectrum Company.  
2 DR. ALDER: Larry Alder with Google.  
3 MR. GIBSON: Mark Gibson.  
4 MR. TRAMONT: Bryan Tramont, Wilkinson Barker Knauer.  
5 MR. EPSTEIN: Gary Epstein, Aspen Institute.  
6 MR. POVELITES: Carl Povelites, AT&T.  
7 MR. SUGRUE: Tom Sugrue, T-Mobile USA.  
8 MS. WARREN: Jennifer Warren, Lockheed Martin.  
9 MR. PEPPER: Robert Pepper, Cisco.  
10 DR. RUSH: Charles Rush, CMR Consulting.  
11 DR. BORTH: David Borth.  
12 DR. KAHN: Kevin Kahn.  
13 MR. HATFIELD: Dale Hatfield, University of Colorado.  
14 MR. MC GINNIS: Doug McGinnis, Exelon Corporation.  
15 MR. COOPER: Martin Cooper, me. ArrayComm.  
16 MS. CRAWFORD: Susan Crawford, University of Michigan  
17 Law School.  
18 MR. CROSBY: Mark Crosby, Enterprise Wireless  
19 Alliance.  
20 MR. DOMBROWSKY: Tom Dombrowsky.  
21 MS. FELDMAN: Molly Feldman, Verizon Wireless.  
22 MR. POWER: Tom Power, DIA.  
23 CHAIR FONTES: For those on the phone who can  
24 recognize voices, I'm Brian Fontes. I'm with the National  
25 Emergency Number Association. Greg and I are co-chairs.

1           Now, there are people seated around the room here. I  
2 think it's nice that everybody knows everybody, so let's do the  
3 introductions here.

4           (Visitors introduced themselves.)

5           CHAIR FONTES: Great. Now, I'm just looking at the  
6 folks in the control room back there.

7           Could somebody on the phone speak so we can see if  
8 we've improved the sound quality? Greg? Anybody? Harold?

9           DR. FURCHTGOTT-ROTH: This is Harold.

10          CHAIR FONTES: Okay. This is not very good.

11          THE FLOOR: We can't hear them. I guess Greg,  
12 somebody on the phone, can you hear us?

13          CHAIR FONTES: Yes. For those of us seated around the  
14 table, those on the phone, can you hear us? For those on the  
15 phone, can they hear the people in the room speak?

16          (Inaudible.)

17          CHAIR FONTES: Some of the folks may not be speaking  
18 into the microphone. If you have a microphone in front of you,  
19 please press the button to speak.

20          Great. And we're hearing that the quality isn't very  
21 good; it seems to be breaking up. So is there any way that we  
22 can --

23          DR. ROSSTON: If the people on the phone could all put  
24 their mutes on that might help.

25          CHAIR FONTES: I hope everybody heard Greg. If you're

1 on the phone press "mute." Of course, unmute it when you want  
2 to make a comment. A little levity.

3 Okay. I hope that, you know, we're not going to delay  
4 things too long here while folks find out what's going on with  
5 the phone and the microphone system.

6 So at this point I just want to provide a few opening  
7 comments.

8 I want to thank everybody for their work. And I  
9 know -- I've been trying to sit in on the committee phone calls,  
10 and simply can't do them all because there's a lot of phone  
11 calls going on. I know a lot of work has been done in a very  
12 short period of time.

13 The approach that we have taken in this session at  
14 this point has been questions and answers. Hopefully you find  
15 that focusing and allowing you to achieve some specific movement  
16 on the issues that you're addressing rather than our approach  
17 previously of having to address it kind of toward the end or  
18 periodically throughout the two-year cycling.

19 It's a change, and with change there's always some  
20 adjustment to change. But I hope everybody has found this to be  
21 a productive process and a focusing process.

22 Again, I know that there's a lot of folks who did a  
23 lot of work that went into this. I just wanted to say thank  
24 you.

25 There's going to be substantial presentations that you

1 will hear in a few minutes. So at this point I would just like  
2 to turn it over to Karl.

3 MR. NEBBIA: Thank you. I also would like to thank  
4 everybody for the work that's going on. I know there's a  
5 tremendous amount of effort that's been put in over the last  
6 couple of months.

7 We did break out the work into four specific works  
8 areas. The search for 500 megahertz broadly with an initial  
9 focus on the 1755-1850 band that's of course the NTIA's focus at  
10 this point. And Gary Epstein and Carl Povelites both agreed to  
11 chair that particular group.

12 We also set up a group on license. We had a group  
13 previous to that, but we decided there were enough unanswered  
14 questions that we reestablished a subcommittee to deal with  
15 that. Michael Calabrese and Janice Obuchowski agreed to work on  
16 that area.

17 Another one we set up dealt with spectrum sharing.  
18 Once again we had previously had discussion on that area, but  
19 felt like there was some more specifics that we needed to get  
20 into.

21 Larry Alder, not Adler -- we keep working on that. I  
22 think we have fixed it and then somebody thought, Well, this  
23 isn't right, so then they turned it back around or something  
24 like that. But and so Larry and Mark McHenry agreed to work  
25 with that group.



1           The Spectrum Management Improvement area was the last  
2 area. Mark Gibson and Bryan Tramont agreed to work with that  
3 area.

4           In this case we sought to supply some specific  
5 questions for you to answer. We recognize that for the  
6 500 megahertz search, and specifically that look at 1755 to  
7 1850, we did not have a lot of time so that group more or less  
8 took on all the questions that we had at once.

9           On the other hand our intention for the most of the  
10 ongoing activity was to focus on one or maybe two questions at a  
11 time. And I really want to encourage you to do that.

12           I know when you see the whole list of questions in  
13 front of you it's easy to try to take them all on in one big  
14 package. But we're really not looking for you to kill yourself  
15 over this session, and then we're going to pick all new members  
16 for the next time around.

17           So we've particularly broken it up with the purpose of  
18 focus on one question, have the discussions in-depth, and come  
19 back with the specific answer or answers on that issue.

20           But please, for your own sake, do not try to take them  
21 all on in a short period of time. We'll -- you know, I've been  
22 here a long time; I'll be here a little longer.

23           And so it doesn't all have to be solved by September.  
24 I know looking at some of the materials, you guys have really  
25 been champing at the bit to get into the full range here.

1           So that's how we've broken it out. We've gotten a  
2 significant commitment I think from members to participate in  
3 those subcommittees and that's been terrific and the work has  
4 moved forward.

5           Our plan then was that we would deal with a question  
6 the first meeting that we came to we would go into where we  
7 stood on that question, what issues had come up. We'd have  
8 dialogue here, and we would select the next question to work on.  
9 The first question then would be finalized at the subsequent  
10 meeting, and so on. We'd be kind of creating this rolling  
11 effort.

12           So we hope we're able to fulfill those type of goals,  
13 both for your sake and for our sake. And we're really excited  
14 to get into the discussions today and see where everybody is.

15           CHAIR FONTES: Great. There's one matter of business  
16 I forgot to raise with everyone. Usually at the end of our  
17 meetings there's a little bit of open time for individuals to  
18 provide comment.

19           If you know ahead of time that you're going to be  
20 making a presentation or providing a comment at the end, if you  
21 can let know now I'd appreciate it; that will give us an idea of  
22 how much time we can allot to any individual.

23           So I know that there's one, Pierre. Where are you? I  
24 know you're going to make a presentation. Any others? On the  
25 phone? In the room? Great. Thank you very much.

1           Okay. So thank you, Karl, for kind of the rehash if  
2 you will of the how we got to where we are today and where we're  
3 going. I think the key message in all that is really pacing  
4 yourself.

5           I know the rather hectic pace, particularly from the  
6 first group we're going to hear is made up of a lot of work, a  
7 lot of time and talent and energy that went into this  
8 presentation.

9           I would just like to open it up for our first  
10 presentation. This was the Search for 500 Megahertz  
11 subcommittee's report.

12           MR. EPSTEIN: Thank you, Brian, and thank you, Karl.

13           Just as a preliminary matter, the fact that we got  
14 questions this time around was immensely helpful to us, and  
15 really helped guide our deliberations.

16           Secondly, all those kind things that Karl said about  
17 pacing ourselves and taking it easy appear not to apply to our  
18 group. We were told we really had to be done by now with all  
19 our search. And we have done our utmost to do so.

20           I'm not going to take a lot of time. Carl and I are  
21 going to make a couple of preliminary remarks. And then we're  
22 going to turn it over to the real subject matter experts for  
23 reports.

24           We were driven not by anything arbitrary. But we were  
25 driven by NTIA's commitment by the end of September to really

1 make a report on the fast track evaluation. And the initial  
2 bands in April 2011 did not make a recommendation on the 1755 to  
3 1850 band. And so I think to be timely we have to provide input  
4 now at this meeting.

5 And so immediately after the May 25 CSMAC meeting we  
6 formed, we had a mandate to provide this input within 60 days.  
7 We formed two subgroups.

8 We formed a technical subgroup under Tom Sugrue. Tom  
9 immediately enlisted Steve Sharkey to help work on this. And we  
10 had an evaluation subcommittee under Molly Feldman.

11 And each group met weekly. We had full participation.  
12 There were at least two conference calls each week. And they  
13 were deep and they were substantive. The subgroup chairs and  
14 members really deserve a lot of credit for producing a lot of  
15 work in a short amount of time.

16 As Carl will explain, we actually focused on 1755 to  
17 1780 originally for good and obvious reasons, which you'll hear  
18 about. Given the background and the timeframe it was an  
19 important thing to do. We will look at the rest of that band  
20 perhaps after this meeting.

21 And you will see a lot of very good and interesting  
22 material. Let me call your call your attention to two things  
23 very briefly. When you hear the presentation from Steve about  
24 technical focus on Slides 14 to 21, which talk about where  
25 existing government operations are, I found that very revealing

1 and very interesting. And in particular Slide 22, where we  
2 talked about possible relocation bands.

3 The evaluation subcommittee, which Molly headed up,  
4 looked particularly at Slide 26. We tried to provide some  
5 quantification in the evaluation area; very difficult to do with  
6 a lot of assumptions. But I think we made some progress in that  
7 area. But the assumptions are very important.

8 And Carl.

9 CHAIR FONTES: Carl, introduce yourself again so  
10 everybody knows who's speaking.

11 MR. POVELITES: Carl Povelites, AT&T.

12 How we going to change the slides?

13 CHAIR FONTES: Carefully.

14 MR. POVELITES: Go to Slide No. 3, I think. This  
15 slide is talking about the 1755 to 1850 band. As you know, we  
16 were asked by the NTIA to look at the entire band, reallocating  
17 that band for commercial mobile service.

18 Importantly that band was globally harmonized. It  
19 does build upon the DCS band but primarily AWS spectrum. We  
20 recommend that that band or portions of that be licensed for  
21 commercial use.

22 As Gary said, we really decided to look at this in  
23 piece parts, one being the 1755 to 1780 band due to the fact  
24 that that does hold some really near-term good capabilities with  
25 pairing with the 2155 to 2180 band that the FCC already has

1 available for commercial use.

2           It has harmonization with global allocations. And it  
3 does provide economies of scale, which helps with the economies  
4 of scale in the facilities.

5           We decided to look also at the 1780 to 1850 band. To  
6 a certain extent a lot of what you'll hear from the two  
7 subgroups will have impacts or relationships with the 1780 to  
8 1850 band as well because the NTIA operations go throughout the  
9 band.

10           So what we did, as Gary mentioned, is focus our  
11 efforts on the 1755 band.

12           Bruce?

13           The recommendation really are to reallocate  
14 government operations outside of the 1755-1850. And primarily  
15 focusing on the 1755 to 1780.

16           If the entire band is not feasible to relocate we can  
17 hopefully work to limit government operations to other parts of  
18 the band, such as 1780, 1850, or some portion in between.

19           We really want to try to avoid replacing equipment for  
20 short-term migration. Don't want to run into the problem we ran  
21 into with 1710 to 1755 where they just pushed open the band, and  
22 then we have to do this again.

23           So we really tried to look at that from a long-term  
24 perspective, what we can do, how we can help NTIA and answer  
25 their questions, and move the entire band forward. But we'll

1 start off with the 1755 to 1780 band.

2 With that I'll turn it over to Steve to talk about the  
3 technology.

4 MR. SHARKEY: All right.

5 CHAIR FONTES: You want to come up here?

6 THE FLOOR: If you sit there you can see the screen.

7 MR. EPSTEIN: One other quick process question.

8 I'll ask Steve and Molly, we have an hour. We  
9 budgeted about 20 minutes for each of these. And they both  
10 thought it would be fine to ask questions during the  
11 presentation.

12 MR. SHARKEY: I'm Steve Sharkey with T-Mobile helping  
13 out Tom on behalf of the committee. So I'll run through -- I  
14 mean, there's a lot of material to cover so I'll go through it  
15 pretty quickly. But certainly jump in and, you know, and ask  
16 questions if you've got any.

17 We tried to go, the first part of this is going  
18 through some of the more technical questions that NTIA asked us  
19 to answer. And the first one was a question about what  
20 commercial wireless technical characteristics should be used in  
21 that sharing analysis.

22 I'm going to turn it over actually to Tom Dombrowsky,  
23 who put together a document that's been included, you know, in  
24 some of the material back here, a list of characteristics.

25 MR. DOMBROWSKY: Yes. What we attempted to do is we

1 had some outreach to a number of equipment manufacturers, folks  
2 who are very involved in the standard bodies, for instance for  
3 LTE, and tried to put together LTE transmitter receiver  
4 characteristics based on current standards as they stand now.  
5 That's been provided to NTIA as well through this group and  
6 through other avenues as well.

7 We expect it to continue to morph a little bit to sort  
8 of meet what NTIA actually needs to do the modeling they need to  
9 do. But this is all based on standards work and all directly  
10 derived from the standards box.

11 MR. SHARKEY: Thanks. So that's available. You know,  
12 you all have it. If there's questions let us know.

13 Next slide, please.

14 The next question was a question about what percentage  
15 of time that industry can live with interference in the band if  
16 sharing is necessary. And is there a way to estimate the impact  
17 of increasing interference of spectrum value.

18 I think, you know, as we discussed it, there really is  
19 no simple answer to this question. I mean, it depends on a lot  
20 about the area of interference. Is it in New York City or in  
21 the middle of Kansas? You know, how great is the interference?  
22 How often does it occur?

23 And the answer is going to depend, it may depend on  
24 the technology that's being used, shared protocols that are  
25 implemented. Some carriers may be more able to accept higher



1 levels of interference than others, or more disruptions to their  
2 services, and have other ways to shift traffic into other  
3 channels, onto other channels, or carry the traffic in other  
4 ways that can help work around, work around interference.

5 I think the one thing that we, you know, would say,  
6 you know, though is that limiting, limited interference and  
7 sharing would be, is preferable to exclusion zones.

8 So, you know, where often in the past when a spectrum  
9 is made available and it's a government operation and there's  
10 just the exclusion that says, you know, No, you know, no  
11 operations in this band or in this area, it's not a good way to  
12 make that spectrum available.

13 We would prefer to have some access to it and to work  
14 out either accepting interference and to work around it, or  
15 working out some sharing mechanism with the government so that  
16 it's more useful for both sides.

17 I think the bottom line is really that it is a  
18 case-by-case basis, and that we need a very rich dialogue  
19 between industry and the government agencies to figure out what  
20 the best solution on a case-by-case basis is, and whether we get  
21 a tipping point of an unacceptable level of the interference or  
22 not.

23 The next question was Question 1-G.

24 MR. NEBBIA: I guess my question is, a couple -- I  
25 mean, we're moving through the material pretty quickly. We

1 really appreciate the characteristics information; that's  
2 critical to any type of analysis, interference analysis we're  
3 going to do.

4           One of the questions I had from that, there are  
5 portrayed a number of different signal bandwidths related to  
6 LTE. One of the systems we've been having to work with a lot  
7 recently has I thought been talking about LTE technology, but on  
8 the basis of doing 20 megahertz, but having to separate the  
9 10 megahertz pieces.

10           Is that, is that what we should be expecting normally  
11 from all of you? Obviously I'm referring to one of our favorite  
12 subjects where they have two 10 megahertz separate pieces that  
13 then multiplies into an intermod product that has other issues  
14 related to it.

15           So in all of the information we're getting here makes  
16 it sound like you're looking for single pieces for somebody to  
17 operate. And it's not double pieces of transmitting two  
18 10 megahertz portions equaling 20 megahertz, it's just  
19 20 megahertz segments. Is that right?

20           I mean, I'm not quite sure I understand why that other  
21 technology's being done that way. But it's become a major  
22 portion of that debate. And I'm kind of interested here whether  
23 that's what we're going to see.

24           MR. SHARKEY: Well, you know, I think this is done on  
25 a single channel basis.

1 MR. NEBBIA: Right.

2 MR. SHARKEY: You know, there are channel bonding  
3 technologies. We are moving towards channel bonding so we can  
4 combine multiple channels to get to essentially larger channels.

5 MR. NEBBIA: Okay. But there's no essential need here  
6 with LTE of having -- you're going to get 20 megahertz -- of  
7 having two separate 10 megahertz pieces that are separated in  
8 some way? That's what we're seeing there. I just want to make  
9 sure that's what we're seeing there.

10 CHAIR FONTES: Say who you are, please.

11 MR. COOPER: Marty.

12 Most LTE systems are TDD or FDD paired spectrum. But  
13 there will also be single channel TDD LTE systems available so  
14 we'll find spectrum either way, and it should be useful.

15 MR. NEBBIA: In this stage we're still dealing with  
16 FDD. I mean, there's an upside and a downside. On the one side  
17 they've still broken it up into two 10 megahertz pieces. And  
18 that's not necessary, I assume, in your work, correct?

19 MR. DOMBROWSKY: That's a -- it's not necessary. I  
20 think it's a case by case to some extent. It's kind of like one  
21 spectrum if you have it, where you have it.

22 If you're a licensee and you're going to try to use  
23 your spectrum assets how you can in terms of the characteristics  
24 we looked at, what the standards are looked at for particular  
25 carrier sizes so you have an idea of what those characteristics

1 are for those particular bandwidth sizes, if that makes sense.

2 MR. NEBBIA: On the dialogue you're talking about,  
3 where do you recommend that that take place? You know, that  
4 can't all happen here obviously. But, I mean, how do you want  
5 that to go forward?

6 The agencies are looking at this, you know. They're  
7 anxious about what they're going to get into; they only have so  
8 much in the way of staff to participate in it.

9 So where, what's the right timing and the nature of  
10 that type of dialogue?

11 MR. SHARKEY: I think, you know, I know you've got  
12 some information that you're looking for for the agencies.  
13 You've got your September report. I think if we can have some  
14 dialogue as soon as possible it would be helpful for both sides  
15 to understand that.

16 We don't want to slow down the September report; you  
17 know, we want everything to stay on track on recommendations.  
18 But maybe from some initial discussions, building on that, you  
19 know, after the report and after recommendations.

20 But I think the key is getting some of the real  
21 technical experts in the room that can really look at what is  
22 the, what is the real impact of interference, and can do that  
23 analysis.

24 And then what are solutions to that? What are the  
25 ways that cooperative mechanisms can be put in place, or if

1 there is a need for a cooperative mechanism that could work?

2           So I think both sides feel more comfortable with, if  
3 it's interference with the commercial system, that the  
4 government guys feel like there's a way to deal with that, the  
5 industry recognizes that, or if there's interference with the  
6 government system what's the right way to protect the government  
7 system.

8           MS. WARREN: Jennifer Warren.

9           Steve, when you were talking about that some  
10 operations and operators can accept more interference than  
11 others, how should that factor in? If the band is chosen to be  
12 shared, how should that factor into the technology if specific  
13 technology should be prescribed because they're more conducive  
14 to sharing than others?

15           I presume the group looked at that.

16           MR. SHARKEY: First, I don't think, you know, you want  
17 to prescribe a specific technology. I mean, the analysis has  
18 been based on LTE as the technology that industry as a whole,  
19 that's the trend in technology.

20           You know, it goes more to I think carriers may be in  
21 different positions in different areas of the country from a  
22 total spectrum holding perspective, and do they have ways that  
23 they can help mitigate the impact of interference on their  
24 customer and ability to serve their customers.

25           And I think, you know, that part of that then is going

1 to just be what would a carrier be willing to pay at auction,  
2 you know? What is that, you know, what's that spectrum worth to  
3 a particular carrier in the market?

4 MS. WARREN: Okay. I was just reacting to the part  
5 that said it could be technology dependent. It sounds like it's  
6 really not technology dependent; it's basically just how much  
7 capacity they have in a given market to tolerate.

8 I'm just trying to figure out the part that was  
9 emphasized there. And it sounds like that's not really a  
10 relevant factor.

11 MR. SHARKEY: It could be a relevant factor, you know,  
12 depending on their, their, you know, certain carriers in  
13 existing network system. So, you know, an ability to shift  
14 traffic, what effect that would have.

15 MS. WARREN: Okay, thanks.

16 MR. COOPER: Let me comment on the issues that Karl  
17 brought up.

18 We keep talking about technology as though it's a  
19 static thing. And it really isn't. When you talk about  
20 interference, what is interference today five years from now is  
21 going to be solved.

22 So I would suggest that in this process that you talk  
23 about what Karl asked the question about, there's got to be  
24 another input, and maybe from the academic community.

25 I suggested last year that the National Academy,

1 somebody that can do some prediction of what the characteristics  
2 of these systems are going to be five years from now, because I  
3 think your assignment is a ten-year assignment; is that right,  
4 Karl? So in ten years there could be a huge change.

5           You asked about TDD versus FDD. The only reason we  
6 have FDD today is because you couldn't build a TDD system  
7 20 years ago or 30 years ago. And if we were starting our  
8 system today they'd all be TDD.

9           So having that time element in all of our  
10 considerations -- and that applies to every committee -- I think  
11 is very important.

12           MR. SHARKEY: I mean, you know, I think it's a good  
13 point to be forward looking on the impact. You know, a lot of  
14 this is of course aimed at can we get to a comfortable place in  
15 the short term for the September report to help facilitate  
16 making the spectrum available, you know, in a shorter timeframe.  
17 But obviously technology changes.

18           MR. REASER: Rick Reaser.

19           So the bottom line though is that you're sort of  
20 saying that there's interference that could be acceptable, but  
21 it's on a case-by-case basis. It's not like there's ten million  
22 things. So some interference will be acceptable.

23           It probably will be mitigated though by having other  
24 spectrum available. That's what he was getting into, how big a  
25 bunch of bands you'd have to write off once you got interfered

1 with, and --

2 MR. SHARKEY: And shift traffic to other channels.

3 MR. REASER: -- other channels or other bands.

4 But that's really not, you really can't accept  
5 interference; you need more spectrum to make up for it. It's  
6 not a technology issue.

7 There might be some technology issues. You could  
8 have, you know, some small amount of interference. But you're  
9 going to make up for the interference by more spectrum. That  
10 seems to be what I got.

11 MR. SHARKEY: Yes. I mean, the system can accept some  
12 level of interference and, you know, you'll end up with lower  
13 data rates on the channel.

14 MR. REASER: Yes.

15 MR. SHARKEY: But, you know, there would be a fairly  
16 limited amount of interference. So there's some availability  
17 there, but it's the nature of interference we're seeing.

18 CHAIR FONTES: To your point I think in many respects  
19 it's also an issue that must be addressed by the FCC in terms of  
20 licensing size, amount of spectrum which we discussed earlier  
21 today, and that they have some mitigating variables, if you  
22 will, for the interference issue.

23 MR. SHARKEY: Okay. So question 1-G asks, you know,  
24 if there's, you know, if there's interference with industry at  
25 some location or time, then an agreed sharing approach and what



1 it would mean in terms of Service Rules would be incorporated in  
2 the interference in terms of license and licensees'  
3 expectations.

4           Again I think this is, you know, it's another one that  
5 will vary on a case-by-case basis depending on the systems that  
6 we're looking at and the sharing that's agreed.

7           I think, you know, the key here is that there is  
8 sufficient information available from both parties to know what  
9 to expect both for the interferer and interferee to have some  
10 clear expectation about what, you know, what kind of operating  
11 conditions they're going to need to live with.

12           There is, you know, again you prefer to not see pure  
13 exclusion zones, but to see some kind of a sharing mechanism put  
14 into place. Cooperative sharing is certainly going to be the  
15 best case on managing interference.

16           There are cases where we've done uncoordinated  
17 sharing, something like 5 gigahertz, you know, which is  
18 unlicensed but those same principles can potentially be applied  
19 here. We use sensing to determine whether the government system  
20 has come up and then you take some action based on that.

21           But, you know, again you come back to the need for  
22 information from both parties, getting the parties to sit down  
23 and understand the systems and how they operate, and then  
24 develop the best approach to either sharing or accepting or  
25 working around interference.

1 I put in one, you know, reference to, you know, the  
2 rules on defining expected interference level and the relative  
3 responsibilities of sharing parties. There's an example from  
4 800 megahertz rebanding that I thought was worth noting; not  
5 that 800 megahertz rebanding was a success overall I would say.

6 THE FLOOR: We don't know yet.

7 MR. SHARKEY: Okay. We don't know yet. It wasn't as  
8 smooth as people anticipated.

9 But I think one of the things the FCC did there was in  
10 coming up with a going-forward solution they did define, if  
11 you're a public safety system, they said, you know, You will get  
12 protection if you've got certain signal level and your receivers  
13 perform with certain characteristics as a Class A procedure.  
14 And if you still get interference then the interferer has to  
15 resolve that or make some changes to fix that.

16 If you don't meet those minimum levels then, and you  
17 receive interference, you have to take an action to fix it. So  
18 it does impose an onus on the incumbent to have some minimum  
19 level of system quality.

20 And it's a system approach, not just standard. But it  
21 looks at how the total system is deployed to help solve that  
22 problem.

23 So it's things like that that I think we can be a  
24 little creative as we sit down and work through some of the  
25 problems.

1 MR. TRAMONT: This is Bryan Tramont.

2 To what degree did the group talk about the  
3 flexibility to have the two parties negotiate outside the  
4 context of rules?

5 And then if and when they have reached an agreement to  
6 either bake it in or not? In other words, does it envision an  
7 ongoing dialogue that might be different from the rules? The  
8 rules going forward?

9 Building on what Marty said, in part, right, over time  
10 interference characteristics change as well as the needs, and  
11 sometimes rules can lock them. So I was just curious in  
12 thinking about the sharing and some of the issues on  
13 1-G whether -- how the committee thought about those problems.

14 MR. SHARKEY: I think that's right. I mean, we view  
15 the rules as providing kind of a baseline to work from. And  
16 then if there is -- then there should be continued opportunity  
17 for dialogue to improve the situation for both parties.

18 Tom was talking about one of the exclusions we had in  
19 North Carolina that, you know, originally in the 800 west band  
20 there was a 100 kilometer exclusion zone.

21 We were able to sit down with, you know, with the  
22 impacted party and reduce that from 100 kilometers to  
23 50 kilometers. So a huge impact for us without having a  
24 negative impact on the government user.

25 MR. REASER: Was the experience that the government

1 had the flexibility to do that? Did the federal government user  
2 generally have flexibility to --

3 MR. SUGRUE: Yes. This was designed to protect from  
4 some systems. And then those exclusion zones were probably of  
5 some use in some regions.

6 But we don't need that much protection after all now  
7 that we see the characteristics of the system.

8 MR. REASER: I guess in some reports there wasn't  
9 always the flexibility at the operational level to cut those  
10 kinds of deals or to accept the compensation. That's what --

11 MR. SUGRUE: That's a different issue. It turns out  
12 you can't give the government money. The government can take  
13 money from you, but you can't give the government money. We  
14 tried that too.

15 MR. HATFIELD: I'm still a bit curious. Who actually  
16 approved it?

17 MR. NEBBIA: As far as I know, all of these  
18 arrangements were arrived at at the local level between the  
19 company that was trying to get access and the organizations they  
20 were dealing with in those local cases.

21 CHAIR FONTES: In that situation is there any other  
22 governing authority that would validate that agreement so that  
23 if that agreement were in fact violated they could go to the  
24 government authority for relief?

25 MR. NEBBIA: I think there was certainly, I'm not sure

1 if there was any MOUs written along those lines; there may have  
2 been. But nonetheless I think the interest still would have  
3 been there if they reached this agreement and then started  
4 experiencing interference. They would have been back talking to  
5 each other once again.

6 I think it was, you know, certainly a great deal based  
7 on the willingness of the two parties to work, to work together.

8 MR. POVELITES: That wasn't one of the issues that we  
9 really dwelt on. We'll leave that for the next session as to  
10 what -- you know, it's an implementation type of a question.

11 MR. EPSTEIN: The illustrious sharing.

12 MR. TRAMONT: I was just building off the flexibility.

13 MR. POVELITES: We really do. Again, these are great  
14 issues and interesting issues.

15 We've got about five more minutes for this  
16 presentation and then we need to move to policy issues.

17 CHAIR FONTES: Every time somebody goes to the  
18 microphone would you just state your name again? It's primarily  
19 for the record and then for the people that are on the calls  
20 that actually cannot recognize your voice.

21 MR. SHARKEY: Steve Sharkey again.

22 The next question really goes to with band pairing of  
23 1780 and 1850 and looking at separation requirements.

24 So, you now, if we get access to the entire 1755 to  
25 1850 band what would we do with it from an implementation

1 perspective?

2           And, you know, we run down -- I won't go through --  
3 you can go to the next slide. I won't go through in detail  
4 here. But some of the general principles that we've worked with  
5 I think as a CMRS community that we do prefer paired spectrum.  
6 That's how it was initially implemented, and we continually  
7 prefer the approach.

8           We are very mindful of interference issues. It all  
9 depends on what your neighbors are on. You want light services  
10 next to light services to minimize the potential for  
11 interference. Spectrum that helps minimize the equipment design  
12 issues so you have consisting band pairings, duplex spacing.

13           Spectrum harmonization, spectrum that can be as  
14 closely harmonized around the world as possible to help build  
15 economies of scale.

16           DR. KAHN: Kevin Kahn.

17           I'm just a little nervous about baking too much FDD  
18 into these recommendations. I mean, the reality is anyone who  
19 looks at the traffic going out over broadband networks these  
20 days will see that that traffic is not symmetric; it is highly  
21 asymmetric.

22           Now it could change; it could all become symmetric.  
23 But the reality is in almost every broadband deployment, whether  
24 it is wireline or wireless, nowadays as you see content  
25 consumption being the dominant aspect of this it's asymmetric.

1 I have no problem if the carriers all decide all they  
2 ever want is FDD. That's fine. But quite honestly -- I'm  
3 sorry. No, if all they want is FDD that's fine. Quite honestly  
4 I think a lot of carriers are looking in their rearview mirror  
5 right now because the traffic doesn't correspond to that.

6 And, you know, I think it's dangerous to sit here and  
7 say, Ten years from now we're all locked into a, you know, a  
8 mechanism that leaves half our spectrum sitting idle because we  
9 said, The world shall be paired.

10 So I don't have any problem if that's the choices they  
11 want to make. I mean, you know, if they buy the spectrum it's  
12 theirs to buy. But let's not bake it too deeply into the  
13 choices we're making as we go forward here.

14 MR. POVELITES: This is Carl Povelites.

15 I would add that there are FDD opportunities also that  
16 are asymmetric as well.

17 MR. CALABRESE: Michael Calabrese.

18 Yes. I just want to second what Kevin said. We have  
19 to be careful that this isn't the CMRS committee in a way. We  
20 got to make sure this is about opening capacity for whatever  
21 competitors come along.

22 One thing that seems maybe to be missing -- and I'm  
23 on the committee but I missed some of these meetings,  
24 particularly the technical group. But there is a point when you  
25 talk about 1755 to 80 is one thing 'cause that seems to be very

1 much on track towards clearing it sufficiently for LTE; at least  
2 that's the conventional wisdom.

3           When you talk about the entire band up to 1850, and  
4 especially if the interim solution is to move some of 1755 to  
5 80, some federal into the higher portion, then I think at some  
6 point you get to a situation you have to consider that you may  
7 have for example exclusion zones that when you, if you looked at  
8 the band for an alternative use such as low power you could use  
9 it much more efficiently than just assuming it's going to be  
10 high power LTE.

11           So I think we have to at least, you know, also bake in  
12 the consideration that we want to look at what's going to be the  
13 most efficient use depending on what can happen with the federal  
14 users over what timeframe.

15           DR. RUSH: I'm Charlie Rush.

16           I just want to point out that while I agree that we  
17 shouldn't just be focused on FDD I think that in the past few  
18 years there has been an appreciation that the traffic isn't  
19 necessarily going to be as asymmetric as has once been thought.

20           You see this time and time again on things like  
21 Facebook and that kind of a system of service I think that the  
22 advantages, without getting into technology issues, about having  
23 an FDD approach is that it allows for more flexibility in that  
24 if you want to move away from, an operator wants to move away  
25 totally from an FDD equally paired spectrum, he or she could



1 have, should be able to have the right to take part of the  
2 uplink FDD and make a downlink FDD. You can do that in terms of  
3 their license without causing interference.

4 I think that may be one of the reasons why people are  
5 still tied to the FDD approach as opposed to just embracing TDD.

6 MR. SHARKEY: These are all good comments. Sorry,  
7 this is Steve Sharkey again.

8 All good comments, and I think these are kind of  
9 guiding principles that we've worked from. And, you know, there  
10 is some flexibility on a case-by-case basis for getting  
11 solutions. But this is kind of putting out that target.

12 And, you know, based on the principles, 1755, 1780 --  
13 and I won't dwell on this because we've talked about it a lot  
14 already -- but it is a band that's, you know, ripe from our  
15 perspective to be made available.

16 There is spectrum that can be paired with it and be  
17 auctioned in, you know, the relative near term assuming that  
18 we're able to, you know, get cleared with federal users to work  
19 out sharing arrangements with those users.

20 You know, the question then really goes to for  
21 1780 to 1850, what would we do with that consistent with those  
22 principles? And, you know, here's a band that is right between  
23 an AWS uplink band and a PTS uplink band. You know, we do want  
24 to see if we have an opportunity to get FDD use and paired use  
25 in this we would like to pursue that.

1           There are potential downlink bands that are under  
2 consideration either at the FCC, or other bands have been  
3 identified by NTIA as part of their search. Those include, you  
4 know, 2 gigahertz in the test band, 2200, 2290 band.

5           So while there may not be a clear band right now that  
6 you would go and auction with, there are certain bands available  
7 that are worthy of studying, look like they're potentials for  
8 pairing within there.

9           But I think that, you know, and from an interference  
10 issue because it is right between a PTS uplink band and an AWS  
11 uplink band that an FDD pairing and use of this band for a  
12 mobile uplink makes sense and creates, you know, eliminates some  
13 of the interference problems. We are trying to use this as a  
14 TDD band between the mobile uplinks.

15           So I will just touch on this. I know I'm well over  
16 time here. So we'll go through this really quickly.

17           This section is an overview of some of the government  
18 systems. Carl gave a good view of systems in the band at the  
19 last CSMAC meeting. And this is some of our -- what we tried to  
20 do here is kind of go through system by system with some of our  
21 thoughts of where there might be potential for, you know, for  
22 changes that could help make this band available and some  
23 avenues that hopefully, you know, NTIA or industries working  
24 with NTIA can pursue.

25           Fixed point, the point is throughout the band there

1 are bands that are available for relocation. You know, point to  
2 point is, you know, fairly straightforward. We relocated, we  
3 have done relocation for PTS and for AWS clearing. And I think  
4 to transition there should be feasible and well understood.

5 Tactical radio relay systems, which are really  
6 portable microwave systems that provide backhaul, go through --  
7 there are a few questions that come out of looking at some of  
8 the reports that, about use of this band and the amount of  
9 spectrum that is needed.

10 The 2010 report talks about needing a minimum of  
11 95 megahertz but it looks like it's being paired with  
12 40 megahertz in another band so there may be some potential to  
13 use some spectrum in this band and restrict the use to  
14 40 megahertz per pair.

15 You know, one of the questions on the just the  
16 efficiency of how these systems operate, so the reports talk  
17 about them operating at .64 bits per second per hertz and that  
18 compares to a minimum FCC requirement of 1 bit per second per  
19 hertz.

20 So, you know, if they're operating at 64 percent of  
21 what a minimum FCC requirement would be, you know, it would seem  
22 to point to a need to upgrade the system to something that's  
23 more efficient. Of course, that can either be done through  
24 auction proceeds or a long-term, you know, refresh.

25 MR. REASER: One of the reasons why the effect is

1 different on military systems is encryption and anti-jam and,  
2 you know, a lot of other requirements that cause the megahertz  
3 to really go down to account for other things.

4 MR. SHARKEY: And I recognize there's not, you know,  
5 it's difficult for us to have a lot of answers for these; so  
6 they're questions we have and, you know, that look like they're  
7 worth pursuing.

8 But it does look like there are probably some bands  
9 that we can look at relocation of these systems also. And we'll  
10 cover that a little bit later in the presentation.

11 A satellite TT&C, telemetry and control uplink bands  
12 for DAD. NASA and NOAA use a different band; they use the  
13 2025 2110 band, which is also a noncommercial band use for ENG  
14 operations.

15 So, you know, looking at a long-term move of those  
16 systems up into that band, recognizing that that's a long  
17 transition and the systems are in there, then there are a series  
18 of questions here that look at the potential for sharing through  
19 any transition.

20 And I think, you know, we just don't have quite enough  
21 information to know the impact of these systems, how many  
22 satellites are in there, how do they actually operate.

23 I have seen information on kind of worst case power  
24 levels for these systems, but we don't have good information on  
25 how they operate on a day-to-day basis, what kind of power

1 levels. And that, you know, will all come out in a full  
2 technical dialogue.

3 PGMSs, precision guided missions, which are airborne  
4 systems that obviously impact large areas of long line of sight  
5 airborne systems, again the number of questions about how long,  
6 how many of the systems are in there, how do they operate, what  
7 kind of frequency agility do they have to operate in a more  
8 limited portion of the band.

9 Air combat training system, again another airborne  
10 system. This was looked at back in 2001. And it was a  
11 different system that, you know, at the time the DOD noted that  
12 it would be replaced by another system, another system that  
13 seemed to be more frequency agile, and so more ability to limit  
14 operations into upper portions of the band, 1755, 1780 short  
15 term. So, you know, free up some more information about the  
16 status of that, where those possibilities exist.

17 The video surveillance systems are one of the most  
18 difficult ones because these are US&P assignments that go across  
19 the whole country as a result of clearing activities in 1755,  
20 1710 to 1755. They're transitioning to digital equipment that  
21 uses less than half the bandwidth.

22 Carl talked last time about some of the difficulties  
23 that they're having finalizing their equipment. But I think  
24 they're continuing to move on that, and also looking at other  
25 bands for relocation in order to open up the entire band up to

1 1850.

2 Aeronautical mobile telemetry, you know, another  
3 aeronautical use that will have widespread implications. There  
4 are 383 assignments in the band.

5 I think in some other discussions we've had it sounds  
6 like it's another one that would be a long term and difficult  
7 relocation. So looking at, you know, long-term relocation, but  
8 there are sharing scenarios that we can develop in the meantime.

9 A sharing scenario developed in 2360, 2390, medical  
10 body area networks may be built off of.

11 MR. GIBSON: Mark Gibson.

12 Steve, before you go on, we need to clarify the last  
13 point. The band isn't being reassigned to medical body  
14 networks; it's being shared pay.

15 MR. SHARKEY: Shared pay, yes.

16 And then there are a number of other systems that are  
17 airborne, I think, that we've got very limited information on,  
18 especially from UABs that are relatively new on this band and  
19 others.

20 Finally we included a list of relocation bands. And  
21 this is actually a list that NTIA is working from. But I think  
22 the important point here is that there are a number of bands  
23 that can be looked at for relocation.

24 We need to find the best way to help look at these  
25 bands and figure out the viability of moving systems and

1 timelines for moving them.

2           One thing we'll note though is that they are, a number  
3 of the bands have also been identified as bands being considered  
4 for nongovernment use as part of the search for 500 megahertz.

5           So, you know, we are doing this 1755 to 1850 band  
6 right now and looking at these relocation bands. But we also  
7 need to keep in mind that bands like 2200 and 2290 or some of  
8 the other bands that are also on the list NTIA put forward as  
9 being bands that could be studied for relocation. Or, I'm  
10 sorry, reallocation.

11           There has to be that kind of cohesive picture of where  
12 all the pieces fit together and we're not moving government  
13 systems into other bands that are just going to eventually be  
14 reallocated, so at least we go in with eyes open.

15           So that's the end of the technical section. So Gary,  
16 do you want to say anything? Or Molly?

17           MS. FELDMAN: This is Molly Feldman, Verizon Wireless.

18           Our subgroup looked at the evaluation questions. And  
19 the first of them we looked at was how should the spectrum, how  
20 should the impact of exclusion areas in the value of the  
21 spectrum of commercial services be measured.

22           The team first considered what are we talking about,  
23 exclusion, is it permanent or partial exclusion. So partial  
24 exclusions can be by time, it can be by altitude, it can be by  
25 power limits.

1           We looked at examples of exclusion areas, which are  
2 are Auction 66 and AWS spectrum and Auction 73 to 700 megahertz  
3 spectrum. Both had some type of exclusions.

4           Go to page 25, just looking at the value of the  
5 spectrum in general, there are some key things that we look at.  
6 First is the number of pop covered in spectrum density. You  
7 also look at highway miles, vacation resorts, and places where  
8 you're going to have a lot of traffic.

9           And then you can't just -- the Brattle report, which I  
10 think you may be aware of, which is a third party report which  
11 T-Mobile had done, notes that, you know, in one case that they  
12 looked at there was a 41 percent difference between the value of  
13 the spectrum, megahertz, pops, and exclusion areas.

14           The other thing that we had to look at was not only  
15 the exclusion areas but the areas surrounding the exclusion  
16 areas because they thought there would be an impact on those  
17 values as well.

18           If it affects not only the, if it affects the  
19 nonexclusion area and if it requires a change to a device, that  
20 affects the value of all of the remaining spectrum nationwide.  
21 The Brattle group did look at that and came to the conclusion  
22 that about a three percent increase in device cost replaced  
23 about a 2.2 decrease in overall value. We kind of looked at our  
24 own models and validated that that's about right.

25           And then all of this really depends too on whose eyes



1 you're looking through, whether it's an incumbent or a new  
2 entrant. An exclusion area has a much bigger impact for a new  
3 entrant who doesn't have any other spectrum or any other -- or  
4 any other carrier to provide service in the area.

5           Go to the next a page. These are kind of the caveats.  
6 We did take a look at those two options I mentioned. They're  
7 not scientific; I'm sure someone can poke holes in them, but  
8 they do show that there is an impact to the value of spectrum.  
9 And if NTIA thinks there's some value it will look at it  
10 further.

11           Go to page 27. The examples that we looked at, there  
12 are three exclusion areas in Auction 66. And we looked  
13 specifically at first at the smallest licensed areas in the  
14 auction. They are similar market areas. We looked at the  
15 smallest licenses because they were theoretically impacted more  
16 by the exclusion areas.

17           The three I have listed here were pretty much very  
18 impacted by the exclusion areas. When you get to the next size  
19 license, the economic areas which is much bigger, there's a much  
20 smaller impact because we have a bigger denominator.

21           Then when we get to the regional licenses, which are  
22 gigantic at the very end, the exclusion areas are immaterial to  
23 those licenses.

24           And then Auction 73 you have the A Block, which is  
25 right next door to Channel 51. And there's huge interference

1 issues with that block. And sometimes it affected licenses more  
2 than others depending on the pop covered or by the square mile  
3 area.

4 So what we found was, page 28, that of the three  
5 exclusion zones, when we look at the very small license areas,  
6 two of those licenses didn't receive any bids at all. The third  
7 one received a bid at a very large discount. Then when you get  
8 to the larger license there were impacts as well.

9 Now, a footnote that there were other licenses that  
10 didn't receive any bids at all either that weren't impacted by  
11 exclusion areas, so whether that was the sole reason they didn't  
12 receive a bid or not we don't know.

13 And then for the adjacent areas around the exclusion  
14 areas we looked at those also and it looked like those licenses  
15 were discounted as well.

16 And what we did was just look at average, we looked at  
17 average prices for similar markets, and compared those to what  
18 those licenses got in auction.

19 Then in Auction 73, if you just look at the A Block  
20 overall compared to the B Block, both were six by six licenses.  
21 There was a 57 percent discount for the A Block compared to the  
22 B Blocks.

23 MR. TRAMONT: On the permits at auction -- I'm sorry.  
24 Bryan Tramont --

25 MS. FELDMAN: The ones we looked at--

1 MR. TRAMONT: -- all three forever?

2 MS. FELDMAN: That's right, yes. There were many  
3 other encumbrances that were 36, 48, 72 months. We tried to  
4 look at those but we couldn't really draw much of a conclusion.

5 MR. TRAMONT: So 73, the adjacency issue would  
6 presumably be solved over time.

7 MS. FELDMAN: Right.

8 MR. TRAMONT: Thank you.

9 MS. FELDMAN: Yes. So the conclusion here, I mean, to  
10 the extent we have exclusion areas, we tried to limit them to  
11 less dense areas, limit the spectrum that's affected, and try to  
12 have that exclusion over a period of time instead of  
13 indefinitely.

14 Then the next question, 1-C was kind of the inverse of  
15 1-B which was, you know, given the need for spectrum in the high  
16 density areas, what's the value of the spectrum in the  
17 specifically limited geographic areas?

18 It really all boils down to economies of scale.  
19 Because if it's a spectrum that's only available in one city,  
20 two cities, 20 percent of the nation, it's not going to add  
21 value to at least incumbents that are looking for nationwide  
22 spectrum.

23 The problem is they're trying to get devices. A band  
24 added to a device just for this limited geographic area would be  
25 very expensive.

1           The other things we'd look at for the economies of  
2 scale is, you know, the adjacency to current bands, and a band  
3 device to include the frequencies with the limited geographic  
4 areas wouldn't be as expensive.

5           International harmonization is another consideration.  
6 Timing is a limitation, if the spectrum in the rest of the  
7 country would come on board at a later point in time. These are  
8 all factors in how to value these.

9           To borrow a comment that Steve made earlier, all of  
10 this, 1-B and 1-C, where is the tipping point where there's  
11 value or not?

12           When you look at the small licenses that were almost  
13 totally encumbered they were toward the tipping point where they  
14 were not valuable to anyone.

15           But if it's encumbered based on all the factors, if  
16 it's going to be interesting going after that spectrum and that  
17 has a full value, but that's without the encumbrances to get to  
18 that tipping point.

19           Then question 1-H, the group kicked around does  
20 staged release mean that it's available now but you don't  
21 auction it until a future point? Not -- it's available now.  
22 Sorry. Auction it now, but it's not available till a later  
23 point in time? Or do you only auction what's available now now,  
24 and auction what's available later later?

25           And the group really couldn't come to a conclusion

1 that it's going to have more value one way or the other. But we  
2 did think that having -- auctioning it all up front would have  
3 the benefit of setting a point in time where the incumbent would  
4 need to transition off.

5 So that was basically the valuation questions. The  
6 last two questions, implementation questions, Mark Gibson will  
7 cover.

8 MR. GIBSON: This is Mark Gibson.

9 I helped Molly with this content, so I thought it  
10 would be easier for me to take it on.

11 These next couple slides are really based on the  
12 efforts that we actually all underwent to relocate or deal with  
13 the 1710 and 1755 AWS operations. So the question was what's  
14 the impact of moving federal operations to other bands?

15 These questions could be answered from moving any  
16 operation to other bands; in fact, it's the same issues  
17 incumbents had to deal with in the 1.9 gig relocation as well as  
18 the 2.1.

19 There's a cost to move the operation. That cost was  
20 made well-known by virtue of the act, the commerce spectrum  
21 whatever act. Whatever. Commercial spectrum. Thank you.

22 There was, you know, there was a threshold that had to  
23 be attained in the auction before that could happen.

24 There was a timeline associated with moving them. And  
25 NTIA, as a virtue of the act, had to go back and identify the

1 timeline for each of the assignments and classification.

2           There was some thought when we first got involved with  
3 this that could we, you know, increase the cost and shorten the  
4 timeline. And that wasn't necessarily the case. We might try  
5 to do that next time around.

6           There are also some considerations on technology.  
7 One, for example, the US&P assignments for video surveillance  
8 was an example. When the costs were put out for the relocation  
9 of those device the consideration was that they would relocate  
10 to digital devices for doing covert operations.

11           The trouble with that was there were no digital  
12 devices available for them that had the battery life necessary  
13 for them to function. And so the timeframe for the relocation  
14 was I think going to be five years, pretty much the entire  
15 timeframe.

16           And as you well know, the US&P assignments, you know,  
17 were nationwide, and took much spectrum. So when we looked at  
18 that we thought, Well, is it possible that they could be  
19 relocated using analog operations in a spectrum, and indeed that  
20 was the case.

21           So we, you know, went back and made a suggestion, and  
22 in fact that's kind of what happened. There was a cost  
23 consideration on that. I think Tom alluded to that. How that  
24 was covered I think was there was monies made available still as  
25 part of the fund. So, you know, that's one consideration that

1 we did in the past.

2           The obvious, they wanted to maintain comparable  
3 capabilities, and in fact I believe that was codified if not in  
4 the act in a public notice that was associated with that that  
5 the FCC and NTIA issued jointly, which also is a bullet with the  
6 new Service Rules.

7           The Service Rules for this were obviously part of the  
8 FCC's rules. But the rules I believe, if they didn't refer to  
9 it specifically, they were abstractly referred to and that was  
10 the public notice I was talking about.

11           After the rules were issued, the public notice was  
12 issued jointly, like I said, between the FCC and NTIA  
13 establishing the cooperation framework how the data would be  
14 shared, what data would be made available, and actually how  
15 interference analysis would be run for certain types of  
16 operations.

17           Then there was a regulatory consideration that kind of  
18 go with Service Rules with respect to more or less the  
19 assignments and some of those issues.

20           So that was the impact of moving federal operations.  
21 Go to the next one.

22           Yes, Jennifer.

23           MS. WARREN: Jennifer Warren.

24           This looks really more domestic, the impact on the  
25 federal operations until I see the international regulatory

1 consideration.

2 I wonder where the consideration of impact on allied  
3 interoperability as far as UAD comes into play, and whether or  
4 not -- I mean, this is more the practical side domestically as  
5 opposed to the operational missions impact considerations.

6 So where does that get factored in? Or does it not?  
7 And should there be a bullet to have that factored into the  
8 mission impact?

9 MR. GIBSON: That's a good question. Actually, I  
10 think that to some extent that was taken care of in the  
11 regulatory considerations where we're talking nationally and  
12 internationally so we have a harmonization.

13 If you think there needs to be a bullet specifically  
14 calling that out --

15 MS. WARREN: I think there are some of the government  
16 operation, not all --

17 MR. GIBSON: Right.

18 MS. WARREN: -- but some of them that have a mission  
19 interoperability, mission impact that should be called out.

20 MR. GIBSON: Okay.

21 MS. WARREN: Actually, can I ask a process question?  
22 Maybe this is a good point.

23 How did the, what is, what's happening with this  
24 today, given if --

25 MR. EPSTEIN: Jennifer, we're going to talk about that



1 later.

2 MS. WARREN: Well, that kind of helps phrase it.

3 MR. EPSTEIN: This is Gary Epstein. May I address  
4 that?

5 MR. GIBSON: Go ahead, Gary.

6 MR. EPSTEIN: It's a good question. I asked that  
7 question earlier today too.

8 And so given the fact that we're on a very short  
9 timeframe now we're not in the position to have the committee  
10 vote on the report today.

11 We've heard some good comments. I think what we are,  
12 for example, we have heard maybe we need some more flexibility,  
13 the 1780s and the 1850s, and there's some typos and other things  
14 that we need to fix, and your very good comment comes in that  
15 context.

16 As soon as we finish here -- we talked a little bit  
17 among ourselves -- NTIA is very appropriately strong on having  
18 us make specific recommendations.

19 And I want to bring up perhaps three or four of them  
20 that come out of the group today for comment. And I think  
21 ultimately then the committee would be asked to, in short order,  
22 not in months, but we'll find some way, some process for the  
23 committee to act on those.

24 MR. GIBSON: Which we'll get to in just a minute  
25 because I'm about done.

1           These next couple of slides are, what happened during  
2 roughly the middle of the 1.7 degree relocation effort CSMAC  
3 actually dealt with this question, and actually had, like I  
4 said, a set of lessons learned.

5           So, you know, plagiarism is the best form of art I  
6 suppose in some regards. We just took those comments and  
7 actually verbatim put them in here more or less.

8           The other thing the NTIA did a year after that, there  
9 was a notice of inquiry dealing with the same thing, what were  
10 the lessons learned? And a handful of companies filed comments  
11 on that. We pulled some of that together for this as well.

12           So this is really based almost solely on that effort,  
13 which is good anecdotal information.

14           I don't want to dwell too much on this, but I want to  
15 call your attention to some that I think are a little more  
16 pertinent.

17           The third bullet there essentially addresses the  
18 information dissemination and information flow. Essentially it  
19 says we need to get better with working with agencies and  
20 with -- between industry and agencies on sharing data.

21           The public notice described the process. Certain  
22 agencies had different interpretations of that process.

23           When approached, there were disconnects between what  
24 agencies thought they should release versus what industry  
25 thought they should get, and it set up a lot of consternation.

1           So that could've probably been dealt with. Since now  
2 we know that that's a problem or could be a problem we can  
3 probably address it a priori.

4           The other thing was, DOD developed a portal.  
5 Essentially it was a data interchange portal. The DOD used it  
6 and I believe the DOJ used it.

7           DOD had an analysis procedure behind the portal. DOD  
8 chose to use a different analysis procedure. But the crux of  
9 the portal was, it was, it made a very simple online filing of  
10 coordination requests for DOD review.

11           The portal was used not only for filing requests but  
12 also for providing information on results. And it was modeled  
13 after the general part 101 frequency coordination processes and  
14 procedures.

15           The top bullet on this next slide speaks to a process  
16 that's actually in place now for coordinating assignments in the  
17 millimeter bands, the 70, 80, 90 gigahertz, where some of those  
18 assignments are classified and so industry can't know where they  
19 are.

20           But given the nature of these what they call pencil  
21 beam or giga beam type operations it lends itself to an online  
22 almost immediate type analysis process.

23           So what happens is there's a database that exists.  
24 And when requests are made to file links in that database the  
25 data are automatically sent to NTIA, and they run an analysis to

1 determine in realtime if there is a problem.

2           If there is a problem you get a yellow light. And if  
3 there's no problem you get a green light, and that's how it  
4 works. We should be able to set something up similarly for  
5 sharing spectrum moving forward in your bands.

6           The second bullet up there speaks to the role NTIA  
7 sort of played in a de facto sense for the 1710 to 1755 band  
8 where they were sort of the clearinghouse for information  
9 dissemination not just for the agencies and industry but also  
10 for NB. And whether that was intentional or not, NTIA sort of  
11 acted in that role.

12           Whether that's the way it needs to be done moving  
13 forward remains to be seen. But we generally felt like it was  
14 important to have some central location for clearinghouse  
15 dissemination of information; how things are done, how things  
16 are going.

17           Like I said, NTIA played that role and continues to  
18 play that role sending that information out.

19           The third bullet up there speaks to agencies being  
20 able to do some analysis before the funds, relocation funds are  
21 made available. Again there were asymmetry in dealing with  
22 agencies in the 1.7 gig bands.

23           Some agencies were cocked and ready to go. DOD did a  
24 great job -- thank you, Bruce -- on that. And other agencies  
25 were not in a position to do anything. They didn't have funds

1 set aside, and they just couldn't handle it.

2           So when we go to those agencies we kind of ran into  
3 some problems. So this bullet speaks to the idea of having some  
4 funds made available somehow -- we're not really sure how -- to  
5 help the agencies get going.

6           The last two bullets essentially speak to specifics  
7 about actually how to do this. I don't need to dwell on it. In  
8 fact, the last bullet on here is incentives for agencies. That  
9 kind of goes to the bullet just above it.

10           I'm not sure if the concept of bonusing will resonate  
11 in the federal space but there may be other ways to incentivize  
12 through some other means. We have to study that.

13           I believe that's it.

14           MR. SHARKEY: That's it.

15           MR. GIBSON: Two minutes early.

16           MR. EPSTEIN: Thank you. It's Gary Epstein again.

17           As I said in response to Jennifer's question, we  
18 talked about where we go next here. And obviously we defer to  
19 Bryan and Greg on the process.

20           But let me emphasize again that in this 60-day time  
21 period we were focusing short term, 1755 to 1780. Even though  
22 the presentation makes recommendations more broadly we have a  
23 little bit more time to consider those.

24           But with respect to this report I think there were,  
25 and we talked about this this morning, there were about four

1 general recommendations that we are working our way through.  
2 They are in rough form now; they may be modified as a result of  
3 the discussion today.

4 But they go something like this. Comments are welcome  
5 on them.

6 No. 1, that the technical paper on LTE characteristics  
7 be formally recommended as the technical characteristics that  
8 NTIA should look at from the industry perspective.

9 No. 2, and this is softer. And you've heard a lot  
10 about this and everybody brought this up again is, we would like  
11 to have some sort of informal technical process between now and  
12 September, and maybe even after September, to exchange  
13 information so that -- on the uses in particular in government  
14 band and some of the industry concerns, and vice versa.

15 So we want to keep an open dialogue, to the extent we  
16 can, with NTIA in order to make this band understood better and  
17 make this band work well.

18 No. 3, and this came out of the discussion that we've  
19 had internally at the committee, and that is what do we look at  
20 after we look at 1755 to 1780? What kind of staging?

21 The preliminary thought was that we would build upon  
22 that, and maybe look at the next build-on potentially on paired  
23 spectrum, and look at the next segment of spectrum up beyond  
24 1780.

25 And the fourth, and you heard a good discussion of

1 this today, is that we support making available spectrum subject  
2 to sharing, you know. The preference, and you heard this today,  
3 was that the government operations will be moved out.

4 If that's not feasible for various reasons, such as  
5 long-term satellites and other uses, that we do want to consider  
6 sharing, particularly where the commercial users accept  
7 reasonable and defined levels of interference.

8 It has to be a concept which is crystalized; in other  
9 words, industry I think, you know, feels comfortable about  
10 utilizing spectrum where the interference is from the government  
11 users into the commercial users, and feels that with sufficient  
12 information, and if you can get some definition and specificity  
13 that that that would be a preferable operation, preferable to  
14 having broad exclusion zones.

15 Again, these concepts, these recommendations need to  
16 be discussed internally and then presented to the full committee  
17 here. And I think that will be the action item.

18 So questions or comments on that? Sue?

19 MS. CRAWFORD: Susan Crawford.

20 So I understand that you're going to be suggesting  
21 these recommendations later, but one of them temporally, now,  
22 which is some kind of a process to learn more when there's so  
23 many questions about the government uses.

24 Would it be helpful for this committee to say  
25 something strong about that to ensure you get real information

1 between now and September that makes the job more realistic?

2 MR. EPSTEIN: I think it's an excellent point. But by  
3 "later" I mean within the next week.

4 So I couldn't agree with you more. To the extent the  
5 committee wants to go on the record now I think I support that.

6 CHAIR FONTES: That's one of the things that I, in  
7 just going through the presentation, one of the things, you  
8 know, key elements in any type of sharing environment is to know  
9 what the information is.

10 What helps facilitate that, particularly from the  
11 commercial side, if you're dealing with one entity that would  
12 have that information rather than having to deal with a variety  
13 of entities, each with perhaps varying degrees of information.

14 So that would be another way of trying to improve the  
15 process, if you will, in disseminating information by having a  
16 point of contact, whether it's NTIA or some other designated  
17 entity that would be the place commercial entities could go to  
18 to obtain information about a specific band.

19 I think there is a lot of -- the whole time I'm  
20 listening to this, if I were a policy maker -- and I can sit  
21 down and play that role because it's such a dramatic role -- if  
22 you were a policy maker sitting there and listening to this  
23 information, what do I want to know that's new? What's moved  
24 the needle in this process?

25 And there's things that I heard today that I think are



1 relatively new that have moved the needle a little bit. I mean,  
2 from the notion of exclusions to the notion of sharing zones to  
3 the notion of a variety of variables that have to be taken into  
4 consideration that would facilitate the opportunity to share in  
5 some areas that were previously exclusive.

6 So there is a lot of information going back to that  
7 point, and a lot of opportunity that can be made in terms of the  
8 maximizing use of spectrum in a shared environment, and also  
9 mitigating the risk that a commercial entity would have from a  
10 commercial entity's perspective.

11 Risk is always not the best thing; you want to have  
12 more certainty than perhaps risk.

13 So I think there are a number of elements to this  
14 presentation that provides that process just by raising the  
15 questions, and also the opportunity from the government sector  
16 to recognize that there perhaps are possibilities of sharing  
17 where previously we were comfortable with exclusive zones.

18 So from a policy maker's perspective, you know, you  
19 sit down and say, Well, this is great. What have I learned from  
20 this experience as a policy maker that would enlighten me and  
21 enable me to make more sound decisions?

22 MR. SUGRUE: This is Tom Sugrue. Jennifer said, Your  
23 name is Tom Sugrue.

24 Just along the lines of time is of the essence though,  
25 we have a deadline, which is good because it focuses, you know,

1 attention.

2           And time is not of the essence for all 500 megahertz.  
3 But, you know, we've looked quite a bit at that 1755 to 1850  
4 band, particularly at the lower end of the band. I hope we're  
5 in a position to make a recommendation on that; NTIA wants to be  
6 in a position.

7           But they said they were going to report on it whether  
8 we make a recommendation or not, so I gather there's opportunity  
9 for input there.

10           There's also under the present law an option of that  
11 spectrum can't take place. When the NTIA reallocates, the FCC  
12 identifies for auction, a series of letters goes back and forth,  
13 an 18-month time period then ensues by which there's a lot of  
14 work done in communication.

15           But it's not like if you add, you know, probably the  
16 fourth quarter of this year would be the earliest that the FCC  
17 letter comes over to the NTIA, which means you're talking about  
18 late spring or early summer before the auction would start. It  
19 would be really two years from now before an auction might even  
20 be wrapping up.

21           That's a fair amount of time to have a focused, you  
22 know, learning curve on those two bands. So I just hope there  
23 are a lot of good questions and a lot of good issues. I hope on  
24 some of this we can move forward.

25           One clarity on the spectrum. We did discuss the

1 difference in exclusion zones and sharing zones, the difference  
2 between interference from a commercial system into a government  
3 system, and vice versa.

4           AWS 1 was largely concerned with the latter,  
5 commercial into government. And there are different ways you  
6 can handle that.

7           You can understand exclusion zones where they're  
8 saying, We don't want you guys interfering with our  
9 mission-critical, you know, uses.

10           What we discussed a fair amount this morning was the  
11 opposite scenario because some of the more difficult uses, some  
12 of the uses in the 1755 to 1780 band, are interference from them  
13 into us.

14           And the last principle said, We think we know enough  
15 about it and have done some spectrum sniffing and looked at it,  
16 and we can tolerate that; doesn't mean we'll be always happy  
17 about it but we'd rather have the spectrum available.

18           We also think, you know, tolerance for interference  
19 improves over time, and we'd be able to do certain things, you  
20 know, that could mitigate that.

21           So we're pretty confident that we go ahead and yes, we  
22 have to adjust our bidding prices based on what we see there in  
23 more detail. But quite confident that that price would be a  
24 substantial positive price, which means it has the potential for  
25 positive value for society.

1           That's sort of the context for that.

2           CHAIR FONTES: This is Brian Fontes.

3           Another thing too that I think is critically important  
4 in the ultimate execution of the ability to share spectrum is  
5 the ability to resolve the interference issues in a timely  
6 fashion.

7           I can hear the voice of Janice Obuchowski in my mind  
8 here saying, Okay, so what's the enforcement mechanism to ensure  
9 that the agreement is in fact the agreement that's in operation?

10          And if there is in fact interference that's occurring,  
11 even though the agreement is in place, how is that resolved and  
12 mitigated in a timely fashion?

13          I'm sure government users would want to have that  
14 resolved quickly, likewise the commercial users. So that too  
15 may be a type of recommendation process is to make sure there is  
16 a mitigating a body if you will that complaints on interference  
17 can be taken to.

18          Jennifer?

19          MS. WARREN: I was thinking about this since you raised  
20 this. I assumed when -- Jennifer Warren. Thanks for the  
21 reciprocation here.

22          I thought when you-all were talking about the, you  
23 know, defining acceptable interference that the concept was,  
24 actually what you were thinking would be defined by the FCC  
25 based on the agreement between the FCC and NTIA users would

1 actually be in the Service Rules, and theoretically the FCC  
2 would be the enforcing body to ensure that, you know, whoever  
3 bought that spectrum actually adheres to the interference rules  
4 that were defined there.

5 Is that not what you-all had discussed?

6 MR. GIBSON: This is Mark Gibson.

7 The FCC rules generally don't put out specifics on  
8 what is considered harmful interference, and leaves it to the  
9 industry to decide because -- because that's just one of those  
10 things. So for example -- one of those things.

11 You know, I refer to the Public Notice 650 I think it  
12 was where what they said it was to use an industry standard  
13 guideline called TSB Bulletin 10-F for identifying interference  
14 between mobile and fixed system.

15 So they sort of alluded to that in the public notice  
16 rather than saying, Interference is defined as a CI of 10 degree  
17 or something.

18 Go ahead.

19 MS. WARREN: Jennifer Warren again.

20 So I guess I'm not quite sure what the purpose of  
21 clearly defining what is tolerable interference, acceptable  
22 interference by the wireless industry if it's not captured  
23 somewhere, that is back to Bryan's point, enforceable, it's back  
24 to kind of fuzziness.

25 So I'm hoping that as the dialogue goes forward on

1 this in the next week is it, Gary? that we can, we can talk  
2 about that. Because I think kind of guidelines, you know, other  
3 than that neutrality, they don't seem to be enforceable.

4 MR. GIBSON: I think that -- this is Mark again.

5 Your point's well taken and Steve can probably take  
6 this on. But I don't think, while I think that it's important  
7 to have rules that are flexible, you know, our experience has  
8 been working for years in microwave bands that the references to  
9 industry guidelines, which can change in time a lot easier than  
10 rules can and there's a lot of flexibility that's built into  
11 those things.

12 For example, let's say you had a, you know, CI matrix  
13 in the FCC rules and new equipment comes on, you have to modify  
14 that. So what we have is a set of guidelines that we've used  
15 historically in addressing interference with these situations.  
16 And those were referred to by reference in the rules.

17 You're not happy with that?

18 MS. WARREN: Government doesn't change out equipment  
19 as fast as industry does. Government and industry is the  
20 problem. There may be more value with longevity.

21 It's just a comment. Something for us to discuss.

22 MR. SHARKEY: Steve Sharkey.

23 I think there is a real difference between if it's  
24 interference in the government system versus interference into  
25 us, right? We can be more flexible, you know, more willing to

1 accept that interference and work around it, and recognize that  
2 there needs to be some definition about how we're going to do it  
3 so we'll provide the government some certainty that we have the  
4 mechanisms how to do that.

5 It probably needs to be more closely defined on  
6 interfering in the government side though for their protection.

7 But I think one of the keys is we did want some  
8 flexibility to continue to work with government users to refine  
9 that model, what that means.

10 Like we talked about before, you know, you have a  
11 floor that you can work from and feel comfortable with. There's  
12 some room for, you know, to negotiate or to define that as  
13 things go forwards.

14 I mean, because some of these federal systems, I mean,  
15 you may put an exclusion zone around to protect the government  
16 system. But they may not be operating all the time or even very  
17 often.

18 So are there mechanisms that we could work out with  
19 them to allow us greater access and a little more time? But,  
20 you know, recognizing what defining the interference criteria  
21 might need.

22 MR. NEBBIA: We're going to have to go to our break  
23 time; otherwise we're not going to have a second half of our  
24 meeting here.

25 But I did want to say I certainly appreciate the

1 characteristics recommendation. With respect to the dialogue  
2 we'll do what we can to try to set that up.

3 I just want you to recognize that the, even the time  
4 that we provided for this review is really short for them to  
5 look down all the way through their organizations.

6 Some of the organizations are pretty homogenous in the  
7 systems that they operate. DOD of course has -- most of these  
8 things are all down into different groups and so on.

9 So I'm sure at this point they would not be  
10 comfortable sitting down and having that kind of dialogue  
11 because they need to be able to come into that dialogue having a  
12 sense of what all those subgroups have told them their place is  
13 and how they are doing to have a reasonable conversation now.  
14 Certainly after the decision gets made.

15 So they're going to want to make that decision with as  
16 much information as they can, but it's going to be questionable  
17 whether they can get down into this kind of detail.

18 Continuing the discussion afterwards though I think is  
19 another excellent idea that we need to look at. And certainly  
20 if we're going to get away from exclusion zones, which is what  
21 the government is comfortable with, we're going to have to I  
22 think look at that carefully.

23 And they are going to want to define what it is we're  
24 doing in there at least to say, You're signing off. If you get  
25 interference you're not going to complain about it. That might



1 be the bottom simple line as opposed to something very  
2 technical. But that's going to have to be discussed.

3           And I think it's also important for us to understand  
4 what Molly talked about, the impact of those areas. They do  
5 impact the value that somebody's going to be willing to put up.

6           Although we're not specifically into this just for  
7 spectrum revenue, we have to recognize that that's the case. If  
8 we go past whatever that tipping point is that the spectrum just  
9 isn't worth using, then we're not, we're not coming out of this  
10 ahead.

11           I think the goal here in the end is to accommodate  
12 wireless systems, protect the government systems, and obviously  
13 you have to still come out in the black; it has to have, you  
14 know, value. So we'll look at that.

15           We're going to leave --

16           CHAIR FONTES: One last comment.

17           MR. CALABRESE: Short one. Michael Calabrese.

18           On this last point about the interference, government  
19 interference into the private sector use, I mean, I think,  
20 because that's about, you know, the government concern is about  
21 political risk, like you have with the garage door opener, you  
22 know, people going right from the condos doesn't -- isn't in the  
23 weeds on this stuff.

24           So but I think in that case it's probably more  
25 important to define the coping mechanism than it is to define

1 the interference itself because you could also have certain  
2 users -- in fact that's talked about in Slide 8 -- that have,  
3 you know, multiband frequency hopping systems where the  
4 interference could be terrible, can be intolerable, but if the  
5 device can get off that band as soon as it's being interfered  
6 with, then that shouldn't matter.

7 That should put the government guys at ease more than  
8 if we define what the harmful effects is.

9 CHAIR FONTES: Let's take a 10-minute break.

10 (Short break.)

11 CHAIR FONTES: Okay. I think we're ready to begin  
12 again.

13 We're going to pick up with our next presentation is  
14 on Spectrum Sharing and the subcommittee's report.

15 And Larry, Mark, are you guys tag-teaming it? How are  
16 you making the presentation?

17 DR. ALDER: Yes, we'll tag-team. I'll start out.

18 We can flip to Slide 2.

19 What we're doing is we're trying to follow the process  
20 that was laid out by Greg and Bryan where it's kind of a  
21 two-meeting process. So at this first meeting we're not coming  
22 with recommendations; that's not the objective here.

23 We're going to try to lay out the issues, have some  
24 discussion, and then have recommendations at the next meeting,  
25 and also tee up a new question for this meeting.

1           The first question that the group is working on is  
2 question 4-D from Carl's list at the last meeting. The question  
3 is, How do we set up sharing arrangements when the primary  
4 service continuer has the right to continue to evolve? So this  
5 is about giving some flexibility to the incumbent user.

6           The case that's been cited is the 5 gigahertz wi fi  
7 example with the detecting of the radar. And the idea is what  
8 happens if the radar wants to change? Do they have flexibility  
9 and so forth?

10           We wanted to look at this question because we think  
11 it's a very important question to give certainty to both sides,  
12 both sides of the equation.

13           The incumbent needs some flexibility to evolve. But  
14 yet to be interesting to a new entrant, the entrant has to know  
15 there's going to be something there that warrants the investing.

16           The secondary question we've chosen is Question 4-A,  
17 which is really the meaty question here. It's a very simple  
18 question. It's what kind of sharing is workable for the  
19 industry in the long term?

20           And we're going to translate that question down to be  
21 a little bit more specific into what kind of sharing  
22 arrangements would the industry consider as workable as part of  
23 the 500 megahertz plan.

24           So the objective was to come up with a set of  
25 recommendations that NTIA and the industry could have that would

1 hopefully allow them to find some spectrum that they can go to  
2 and say, This is part of the 500 megahertz plan that's going to  
3 be shared; it's not cleared and exclusive.

4           It's a high hurdle to do. There's two key communities  
5 really because of the unlicensed community. And there's some  
6 intuition that the unlicensed community is a little easier to  
7 appease in kind of a sharing environment.

8           And then theres the licensed community, and it's  
9 really appreciated to have people that are in the licensed  
10 community. We have a number of colleagues on this panel to  
11 participate in this group. I've appreciated we have had some  
12 good participation from some folks from Verizon.

13           I'm using this time as a call-out to welcome other  
14 people who've been in the licensed community that want to help  
15 understand what kind of sharing arrangements would be workable  
16 in the long term.

17           And that doesn't necessarily mean you're going to use  
18 it as licensed, but this would be bands that you think would be  
19 useful as either complimentary or primary to what you guys are  
20 doing.

21           So the method that we're taking to attack this first  
22 problem, we're going to try not to boil the ocean, but we are  
23 going to list kind of some key requirements. And we've done  
24 that.

25           We've prepared a document here that are working notes.

1 Unfortunately when I sent this to Bruce, somehow in the  
2 formatting the changes are still on here, but it's okay.

3           This is our notes that we have. And it goes to some  
4 of the requirements. Very high level. We're trying to work  
5 with very short documents.

6           We want to identify how the incumbent use changes  
7 could impact really the two primary sharing mechanisms we've  
8 identified: Geolocation type of approaches and sensing based  
9 approaches.

10           We're trying to look at all the different types of use  
11 changes we can imagine and if they can be accommodated. We've  
12 done some work. We'll go over that today.

13           Then we're going to kind of rank the use changes from  
14 easiest to most difficult to accommodate, and we've done some of  
15 that.

16           What we're not going to do is we're not going to  
17 recommend some new, one-size-fits-all spectrum sharing  
18 technology that is going to allow total flexibility to  
19 incumbents, and so forth. We're not designing a new sharing  
20 technology; we're more evaluating current sharing technologies,  
21 and how they can perform with various modifications.

22           If there was some specific system and sharing  
23 technology that would have to be done band by band. With that,  
24 turn to Slide 3, which is a chart.

25           So we've got on the chart -- I'm going to let Mark

1 walk through this. He's done the primary. But this is a chart  
2 that tries to encompass what are the different use changes that  
3 we might expect a new entrant or incumbent to have, and how they  
4 could be accommodated by geolocation and spectrum sharing.

5 I'm going to jump ahead to the conclusion before I  
6 turn it over to Mark.

7 So the conclusion is, there's almost no use change  
8 that cannot be accommodated. There's certain use changes that  
9 fail, that are very difficult to be accommodated by any one  
10 approach -- spectrum sharing alone, those are in the red -- but  
11 they always can be accommodated.

12 And so we'll get all of that. I'll let Mark kind of  
13 walk through the charts.

14 MR. GIBSON: Okay. So this chart on the left column  
15 is, Incumbent agreed to the deal. Then he says, Oh, what I  
16 really meant to do is change my waveform. That's the results  
17 that arose. He said, he made a promise to do X or commitment  
18 but changed his mind.

19 The second column is, Oh, I have a geolocation  
20 approach. Now what's the cost for me to go back and retrofit my  
21 system? So we have four that are colored there.

22 So if you're a sensing based thing, and the guy says,  
23 I want to go back on the waveform, that's very expensive to go  
24 back and mess with that.

25 Or if you promised to tell them where the transmitters

1 were, your receivers, and later you renege on that, the database  
2 location really wouldn't like that.

3           There's others here. Some of them are highlighted as  
4 kind of damage to the equipment. There's some in there that are  
5 kind of damage to both, which means the spectrum goes away.

6           All of a sudden they went from a 1 watt transmitter to  
7 a 50 kilowatt transmitter, the spectrum would shrink, and that  
8 would bug everybody.

9           Last column that we're still working on is, How would  
10 you get certainty for the entrant? What would the incumbent,  
11 commitment he would have to make? So like the waveform it could  
12 be you have to give a range of waveform, like radar. You have  
13 to give some range. If you went beyond that range, that would  
14 not be allowed. That's kind of what the end product will be.

15           Some things we don't care about. Changes in receiver  
16 sensitivity is not really critical. It doesn't take the  
17 spectrum away or costs. Some of them are, would qualify, and  
18 have to have an agreement. That's this chart. Any questions?

19           DR. ALDER: I want to make one more comment on the  
20 charge. This is Larry again.

21           The little numbers you see in columns 2 and 3 are the  
22 difficulty. So if it's a 1 that means it's pretty easy to  
23 accommodate. If it's a 2 it's a medium. If it's a 3 it's --

24           MR. GIBSON: Very painful.

25           DR. ALDER: -- very painful.

1 MR. GIBSON: A lot of you just changed the database.  
2 Transmitter power went up, receiver sensitivity went down, it's  
3 a minor change. Then it might affect the spectrum. The low  
4 cost would have high impact to the value that's available for  
5 the amount of spectrum.

6 MR. REASER: This is Rick Reaser.

7 One thing is, it's really easy for us to talk about  
8 this. But some people are listening that don't quite understand  
9 one of the things.

10 There are actually two strategies for sharing. You  
11 might want to explain those, Mark, the two majors.

12 MR. GIBSON: Geolocation based?

13 MR. REASER: The claims that people --

14 MR. GIBSON: Oh. You know the position of the  
15 incumbent receivers, the entrant knows his position and he does  
16 a calculation and the incumbent says, I won't cause  
17 interference. It's a open loop thing.

18 If he's sensing the presence if they're there he  
19 estimates the pop loss and then he decides whether to go or not.

20 You could mix the two; I'm not saying one is better  
21 than the other.

22 DR. ALDER: On the geolocation we put the word  
23 "database" so that the geolocation can be dynamic; it doesn't  
24 have to be completely static. It can be completely database.

25 By the way, I want to thank Rick. He's been a big



1 contributor to helping the group.

2 MR. REASER: One other comment about the idea. There  
3 might be some other ideas about sharing. And those will be  
4 things we want to hear about.

5 There are some other traditional methods of sharing  
6 but they're actually incorporated in the two general models that  
7 we have in terms of geolocation and the sensing thing.

8 So the things about assigning different frequencies  
9 and distances and all that, those are actually accounted for in  
10 these two models.

11 Typically we think about sharing in a different way,  
12 the technical sharing in terms of modulations that are  
13 compatible, frequencies that are different, or times where you  
14 get the frequency this hour and I get it next, all those are  
15 actually accounted for in these other systems. You can actually  
16 embed those things.

17 I think that's sort of important, but if there are  
18 other ideas about how you might share let us know. We kind of,  
19 you know, boiled it down to these two categories to account for  
20 all the other methods.

21 DR. RUSH: Charlie Rush.

22 I don't have any ideas necessarily as to how to  
23 improve this. But I do have a couple of questions perhaps you  
24 could clarify for me.

25 When you say, Impact to both entrant types, what are

1 the two entrant types?

2 MR. GIBSON: One guy's using a geolocation database.

3 DR. RUSH: Oh, okay. I see.

4 When you talk about the method to provide certainty to  
5 the entrant, when you say things like decrease the amount of  
6 available spectrum for sharing based on the band. And then you  
7 go on to say, Entrant agrees to limiting to minimum or maximum  
8 transmit power --

9 MR. GIBSON: If they had a 100 watt transmitter they  
10 had -- kilowatt, that would be -- they want flexibility. They  
11 can't make such huge changes. You can't go from a fixed system  
12 to mobile.

13 How could someone build a spectrum system if they  
14 could change any parameter at will? Fixed, mobile power;  
15 there's got to be some limit to what an incumbent can do.

16 DR. ALDER: One of the theses that's emerging is that  
17 if the incumbent user can change anything, powers, ground, air,  
18 mobility, if they can do anything, there's no certainty that can  
19 be offered to the new user because the incumbent can do  
20 anything.

21 We wanted to try to set some reasonable bounds to,  
22 Look, yeah, there's certain things that you can change that have  
23 very low impact. Receiver sensitivity might be one of them.  
24 Transmit power might be another.

25 We wanted to evaluate bounding some of this to provide

1 some certainty in both directions.

2 DR. RUSH: One last question, if I may. Charlie Rush  
3 here.

4 Would it be safe to assume then at time T equals zero  
5 the new entrant feels he or she can coexist with the incumbent?

6 MR. GIBSON: Yes. They made a deal.  
7 Robert?

8 MR. PEPPER: Robert Pepper.

9 Question. Are you making a distinction between  
10 opportunistic sharing, or sharing that is actually part of a set  
11 of rules and requirements?

12 MR. GIBSON: Doesn't -- wouldn't matter, I don't  
13 think.

14 MR. PEPPER: The reason I think it may is if it's  
15 opportunistic sharing --

16 MR. GIBSON: What's that?

17 MR. PEPPER: -- in the sense that there's a secondary  
18 or new entrant that is going to use spectrum because at the  
19 moment the incumbent either isn't using it or is using it in a  
20 way that might be below their authorized power limits, so just  
21 opportunistically they're coming in and using it at their own  
22 risk.

23 That's very different then because there the primary  
24 licensee may choose to actually go up to their authorized power  
25 even if they started at a lower power.

1           Or as they build out a network and start at one  
2 geography and have it built out from urban to rural or covers  
3 the city there is a roadmap to do that, which would not be  
4 toward changing anything, right? As opposed to where there's a  
5 formal agreement for sharing.

6           DR. ALDER: We lump those two together because we  
7 believe that when you're making a decision to invest and develop  
8 a band or technology, you're going to look at the band and say,  
9 What are the parameters of this band, okay?

10           So even if there's not -- there's going to be some  
11 rules and guidelines going to inform your decision-making  
12 process. You're going to say, Wow, it's not being used in these  
13 geographies if I go to these power levels.

14           Then you're going to have to question, Well, it's not  
15 being used. I can use it in New York. How long? Is that for  
16 six months? A year at these power levels?

17           We're trying to say what -- we're lumping those two  
18 together. And trying to analyze this, how would we allow the  
19 incumbent to move with the greatest amount of flexibility and  
20 still be enticing to entrants to invest and develop.

21           We don't think there's a difference if it's contract,  
22 a set of rules, or just something that goes on through an  
23 evaluation.

24           MR. PEPPER: This is Robert Pepper again.

25           But it implies there would be an agreement, an

1 agreement between the incumbent and the new entrant, that there  
2 would have to be some agreement.

3 DR. ALDER: It could be just a set of rules.

4 MR. REASER: I just have a comment.

5 Where this came from was this whole idea of the  
6 5 gigahertz where basically a set of parameters were laid out  
7 and said, Okay, as long as you can live with these parameters  
8 you can be in the band.

9 So then what happens is you get in this business  
10 about, you know, the other incumbent, the new incumbent that  
11 came in and shared with you.

12 And then all of a sudden they have like a bazillion  
13 devices out there. And the primary user says, I'm changing  
14 stuff. Now their box isn't working anymore with the guy who is  
15 sharing. So how do you deal with that?

16 What's going to happen is there's going to be a whole  
17 sort of uproar about, You changed something, and I have all this  
18 installed base and I can't -- so in essence there has to be  
19 something written down someplace. It could be an agreement; it  
20 could be in rules; it could be lots of places.

21 But the problem is there's way too much uncertainty.  
22 And what happens is the primary user says, Okay, I have a  
23 permanent easement on my band, on my technology. I can't do  
24 anything. I'm hamstrung. The question is, How do you deal with  
25 that scenario? That's kind of where it is.

1           If it's opportunistic, then you have the same type of  
2 issue but if it's opportunistic sharers can get an installed  
3 base issue where they can limit the guy who was nice enough to  
4 let you, you know, live in the back room in your house, and the  
5 next thing you know, the guy's wanting to put his car in the  
6 garage and taking over the kitchen.

7           You know, it kind of gets into that. What started out  
8 just being -- because I think people like, I'm being a good guy,  
9 a good citizen, a good spectrum steward by letting people share  
10 with me, and now they own my house. It happens.

11           MR. PEPPER: I totally understand and agree, you know,  
12 with the concern.

13           But I guess all I'm saying is that it appears implied  
14 in this -- maybe it needs to be explicit -- there's either, you  
15 know, a requirement or, you know, regulation or whatever, rule,  
16 or an explicit agreement, because it does not apply to implicit,  
17 you know, below the radar opportunistic uses by which the  
18 incumbent --

19           DR. ALDER: There's rules for that, right? I mean,  
20 you can't just use it; there's always rules.

21           MR. GIBSON: You keep saying there's a third type of  
22 sharing that's found on this list and I don't understand it.

23           If you are using sensing you are hiding below the  
24 radar. That's what sensing is. I call it sensing and you call  
25 it opportunistic. I think it's the same thing. It is the same

1 thing.

2 DR. KAHN: There's still an implicit --

3 CHAIR FONTES: Identify.

4 DR. KAHN: Kevin Kahn.

5 Yes, there's still an implicit contract. "Contract" I  
6 use loosely in the sense that if I go to that band I'm going to  
7 opportunistically, to use your terminology.

8 The incumbent has some regulatory structure that  
9 limits what he can do with it presumably. Now, it may be  
10 unlimited, right? Maybe the rules on the band say he can go up  
11 to 50 kilowatts, in which case if you're coming in here  
12 opportunistically to look at that band you may say, Hmmm, you  
13 know, I think there's a realistic chance that he might do that  
14 to me and it's probably not a good band to try to sneak into.

15 But, I mean, there's some, there's some set of rules  
16 whether they're written down as a contract between you and the  
17 guy you're sharing with, or whether they're implicit in the  
18 regulatory structure that made that allocation originally.

19 MR. PEPPER: Yes. But I guess maybe some of the  
20 questions, the examples that were used were going from, you  
21 know, 1 watt to 50 kilowatts, which is frankly a nonrealistic --

22 MR. GIBSON: No. There could be a crude jammer out  
23 there.

24 MR. PEPPER: As a practical matter, what we see is,  
25 you know, licensees coming in over time, you know, building out

1 geographic. And that's something that should be anticipated and  
2 expected. It's in the rules.

3           When entrants come in and build out networks they  
4 don't always start with full power, right? They come in and  
5 move up in power. Again, it's within the rules.

6           But what I was sort of responding to was, you know,  
7 whether it was implied or you actually said, Well, maybe what we  
8 need to do maybe someone has the ability to go to a higher  
9 power, but by allowing sharing we're now going to actually  
10 change the rule, and change what their, you know, authorized  
11 power limit would be.

12           That would be a change in the rule, which I'm not --

13           MR. GIBSON: That's what's being proposed.

14           MR. PEPPER: That would be a change in the rule that  
15 would be implicit because of an essentially -- could be like a  
16 squatter's right as opposed to an actual explicit change in the  
17 rule.

18           Again, I think this is recognizing just very  
19 pragmatically how networks get built out over time, over  
20 geography, and also in terms of, you know, power lines. Maybe  
21 there's some variation on what you're saying.

22           CHAIR FONTES: Let's wait for a second. Susan and  
23 then Mark.

24           Susan?

25           MS. CRAWFORD: Susan Crawford. I'll be really brief.



1 I think that we're just having two different  
2 conversations here. We're all, you're both talking about rules.  
3 Mark and Larry are proposing a broader, broader understanding of  
4 rules ab initio; that's what they're talking about. And you're  
5 saying, But if I had a rule that was very narrow don't change it  
6 on me.

7 I think what they're suggesting going forward, if I'm  
8 right, we have a more generous understanding of what those  
9 parameters are to permit sharing.

10 MR. CROSBY: This is Mark Crosby.

11 This will only work if there's significant and  
12 effective communication between the person coming on the band  
13 and the incumbent.

14 I don't quite agree with you, Rick, because I think  
15 they will take over the house. It's inevitable. Whether you  
16 start with -- it's technology. You won't know they're in the  
17 house, right? But they're going to be there: Kitchen, garage,  
18 attic. It's inevitable.

19 CHAIR FONTES: Kevin.

20 DR. KAHN: Kevin again.

21 This is actually a topic that came up in our working  
22 group on spectrum management. One of the things that I continue  
23 to see kind of, it's kind of an assumption that underlies all of  
24 what we're doing here, but I don't think we make it explicit,  
25 and that's the problem.

1           The reason -- this is a 98 percent statement. So if  
2 somebody wants to pick on the other two percent, feel free --  
3 the reason that we are all searching for more communications  
4 spectrum is for communications; it's not garage door openers,  
5 right? It is communications.

6           The interesting thing about communications devices,  
7 they communicate. What that means is that there are technical  
8 structures that I think can limit, for example, the issue of,  
9 Gosh, the guy now owns my garage because he's been parking his  
10 car there.

11           One of the things that I suggest, and I think we put  
12 it in our report at least to take a look at is to say, Look, if  
13 you are a sharer in a band there's nothing that says your  
14 devices shouldn't have to reauthorize at some reasonable  
15 interval against a known database, right?

16           I mean, the whole 5 gigahertz thing where, you know,  
17 we suddenly have people interfering with radars, would have been  
18 relatively easily handled if we had simply said that all the  
19 routers out there once a month they have got to go ping on the  
20 Internet, the database, and says, Are you, this model, still  
21 authorized?

22           And if that problem had come up, you turn them all off  
23 in the database, figure out which ones were actually the  
24 problem, turn the others back on, and you tell people, Look, if  
25 you can download a new pattern -- this is a waveform issue -- if

1 you can download a new pattern and prove that in the test-bed,  
2 then you can reauthorize your device; otherwise you can't.

3 That kind of approach cuts a couple of things. One is  
4 it gives some assurance to the incumbents that in allowing  
5 spectrum sharing to happen they're not going to wind up with the  
6 guy squatting in the garage with no way to deal with it.

7 Two, it makes it very clear to the sharer that he has  
8 responsibilities; that it's not a one-time thing where he shows  
9 up and says, Oh, cool. I've got some spectrum to use, and never  
10 has to think about it again, because he realizes that those  
11 devices are going to be constantly going back on some interval.

12 I mean, the interval, pick your favorite interval.  
13 But, I mean, it's not an interval that's going to cause any  
14 problem in terms of traffic. Not every second.

15 You have tools here that I think actually can make it  
16 very reasonable to manage these kinds of contractual  
17 relationships.

18 MR. PEPPER: But Mark, it isn't the management. It's  
19 that if he wants to fly airborne jammers and never did that  
20 before, you got to -- you can't do that.

21 You can manage it; you can get off. But you won't  
22 want to own a spectrum and do everyone's jamming every month.

23 MR. NEBBIA: Jamming is not a radio service. So that  
24 has a whole set of rules.

25 But I think what we're talking about here I think is a

1 significant deviation from our history. I mean, we used to put  
2 radio location in a radio navigation band.

3 Of course, neither one of those things is very finely  
4 defined. The radio nav people, generally the FAA senses, This  
5 is my responsibility, and I'm going to kind of protect that  
6 radio location often with DOD.

7 And we did in fact internationally write some  
8 allocations where we allowed radio location as long as it did  
9 not hinder the development of -- and there was some long  
10 standard footnote that we wrote.

11 I mean, that's how we've operated in the past. And I  
12 think that some of those kinds of bands, those particular  
13 agencies or groups do sense that this is radio location. I have  
14 a right to do any kind of radio location in this band that I  
15 want to do.

16 Now we're considering sharing in those bands in a way  
17 that really makes that not quite possible anymore. And we have  
18 to at least fess up to the fact that as we get into this kind of  
19 sharing we are creating some limits that we've never done  
20 before.

21 I think we've got to begin to talk about how we are  
22 going to define those limits, whether it's, you know, once  
23 again, we can create a thing where we tell the commission, We  
24 only want you to license in 3.5 outside of these areas; that's  
25 the geographic sharing mechanism, but it's very static. We come

1 up with some other approaches, but they are significant  
2 variations.

3 In the case of 5 gigahertz essentially all the FAA  
4 wanted to do is they wanted to move on with the next generation  
5 of wind shear radar that was going to do a better job than the  
6 last generation. And they found themselves hemmed in by the  
7 fact that people were looking for specific characteristics and  
8 they felt like they couldn't do what was next.

9 In the radar community, one of the things that's  
10 happening now is they've lived for years on the fact that their  
11 duty cycle is extremely low, and they were even able to share  
12 with each other, not bother each other on that basis.

13 Now they're finding as they go to solid state devices  
14 they're bringing their power down, and their duty cycle is  
15 growing significantly.

16 This is all just part of the evolution of their  
17 technology in the same way that you guys have evolution in your  
18 technology.

19 So I think we've got to look at this closely. It is a  
20 significant deviation from where we've been. But I think you're  
21 right. I think we've got to look to define it in a way that's  
22 reasonable because everybody that participates in this has to  
23 have some sense that they know what they're getting into.

24 On the other hand, if it's so restrictive, then why  
25 would any agency or any group ever want to agree to it if that's

1 the way it was going to be?

2 Let's face it. The stuff the DOD has deployed in the  
3 radar world in the last ten years is significantly different  
4 than what they were deploying 30 years ago.

5 So, and to be honest, once again, there's the band.  
6 The radar world right now is the spectrum. That's where the  
7 spectrum is. And if we get in there we've got to realize those  
8 things are going to change.

9 We would have loved in 5 gigahertz to have stuck by  
10 the original agreement. And that was, when you sensed a certain  
11 signal level you just moved off; you didn't care what it looked  
12 like, you didn't care what it smelled like, you just moved off.  
13 But then industry couldn't work with that and went down a  
14 different path.

15 Anyway, I know we got to get on to our next subject.  
16 But I appreciate it. I think that discussion is the kind of  
17 thing we are wanting to have at the midway point.

18 CHAIR FONTES: Do you have one final comment?

19 DR. ALDER: No. I wanted to say I think that there's  
20 a lot of violent agreement here. We're just trying to put some  
21 structure around that, the last message, that you think there's  
22 hope here to really, really find some common ground here.

23 We're welcoming new participants. Feel free to  
24 contact me. We'll add you to our e-mail list for our meetings.  
25 Try to come back with your recommendations.

1 CHAIR FONTES: In listening to your presentations and  
2 reading the documents it seems to me that you're trying to  
3 figure out how to provide maximum amount of certainty for those  
4 who are sharing the band with the great degree of flexibility in  
5 technology so you don't lock out or freeze-frame technology in  
6 time. Very interesting.

7 Appreciate your work; comments that have been  
8 provided. I do agree. I think there's a lot of violent  
9 agreement here.

10 But nonetheless, I think exploring very reasonable and  
11 rational ways to begin thinking differently about sharing  
12 capabilities and whether I'm keeping -- every now and then  
13 looking over just to see some guidelines in formulating rules  
14 and regulations or policies that would enable this to become a  
15 reality. So thank you.

16 Our next presentation is unlicensed spectrum. The  
17 subcommittee's reports. Michael? We have Janice on the phone.

18 MS. OBUCHOWSKI: I'm just listening in, guys.

19 CHAIR FONTES: Thanks, Janice.

20 MR. CALABRESE: Yes. I was going to say, Janice sends  
21 her regrets for not being here in person. And it's probably a  
22 good thing you're not, Janice, because over the phone it sounds  
23 like a bit like you're in an echo chamber or something.

24 This is the unlicensed subcommittee. And we had --  
25 change that. Okay.

1           So anyway, we had three categories of questions, most  
2 of it on enforcement. Some of the same issues that, you know,  
3 we've heard about that, you know, could be recurring, things  
4 like so-called political risk issue with something like garage  
5 door openers where the general public believes, you know, it  
6 should be able to just use its device, and has no idea that it's  
7 subordinate, for example.

8           So the questions are in the categories of enforcement,  
9 dedicated bands, whether unlicensed needs dedicated bands, and  
10 so on, and then what method should be used to inventory  
11 unlicensed devices.

12           So I didn't need to read through all those because we  
13 can do it now.

14           Enforcement. The questions were how should federal  
15 agencies deal with complaints of interference received by  
16 unlicensed users. Again, the classic garage door case.

17           How should federal agencies deal with interference  
18 from unlicensed users in the hands of citizens who don't  
19 understand the rules? And that would, you know, could be a  
20 similar situation.

21           How should we prevent software modifications that  
22 alter the compatibility characteristics of a device? Or it  
23 could be hardware characteristics too, presumably, as we saw in  
24 the 5 gigahertz band with some of the devices that had a  
25 switch inside.



1           And with widely distributed products, what's the best  
2 approach to enforcing rules when the number of offenders may be  
3 significant?

4           So we have five tentative recommendations that I'll  
5 just run through. And I should say that we unfortunately didn't  
6 either didn't know or didn't heed Karl's advice to bear down on  
7 one of these and take our time.

8           So we didn't go in the weeds on going through any of  
9 these so much as we went through all of them and got some  
10 tentative sense that we thought we should, you know, that part  
11 of our job was to tee up here what some of the tentative  
12 recommendations were, get some feedback, and then go back and  
13 dive into the weeds a bit more.

14           MR. NEBBIA: In the interest of time, if we could  
15 limit ourselves to the discussion of the enforcement issue  
16 today.

17           I know you got a lot of other materials on the other  
18 questions, but if we do that as the single subject.

19           MR. CALABRESE: Okay. That would be fine. There are  
20 five just on that.

21           So No. 1 is that NTIA should put in place regulatory  
22 requirements that reduce reliance on post hoc regulatory  
23 enforcement of interference by turning more to technology based  
24 solutions for connected devices.

25           That's very much, you know, what Kevin, who is on the

1 subcommittee, was talking about just a little bit ago, that  
2 really increasingly the devices who are trying to accommodate  
3 for communications they can, presumably in most cases, connect.  
4 So that we can use technology increasingly to build in the means  
5 to avoid these problems.

6           So as Kevin said earlier, some of the examples are if  
7 you, you know, if you use a geolocation database or even any  
8 database method, if you have access to the Internet, the device  
9 can ping the database or its own network periodically to get  
10 instructions or firmware updates, it could be remotely disabled  
11 and so on.

12           It would just depend. You know, the degree to which  
13 you do those things would depend on, presumably on, you know,  
14 the incumbents you're trying to protect, and their  
15 characteristics.

16           CHAIR FONTES: Excuse me a second.

17           Jennifer?

18           MS. WARREN: Jennifer Warren. Just a quick question on  
19 this.

20           I mean, I think what Kevin said before was really a  
21 good idea. But with the NTIA putting in place regulatory  
22 requirements, was this, in thinking that they should have the  
23 regulatory requirements, were you thinking for commercial  
24 devices? Or for government communications devices, and the FCC  
25 should have in place for the commercial devices?

1 I'm just wondering where it says, The NTIA should have  
2 regulatory requirements.

3 MR. CALABRESE: Yes. I think both. You know, it's  
4 worked with FCC on parallel measures.

5 MS. WARREN: So each would have their own enforcement  
6 mechanism?

7 MR. CALABRESE: Right. So the parallel measures would  
8 be, presumably would be imposed by the FCC on the commercial  
9 users based on, you know, talking about sharing federal bands  
10 based on what NTIA says their needs are.

11 MS. WARREN: Okay. Jennifer again.

12 So the NTIA federal requirements will be for when the  
13 government systems are sharing with commercial?

14 MR. CALABRESE: Right.

15 MS. WARREN: Okay. Thank you.

16 MR. CALABRESE: And to basically identify --

17 CHAIR FONTES: Janice, there is a problem with our  
18 phone here where we can hardly hear anyone speaking.

19 MS. OBUCHOWSKI: Don't worry about it.

20 CHAIR FONTES: I think we heard you say, Don't worry  
21 about it.

22 MR. CALABRESE: You know, you would think that many of  
23 these, these requirements, whether you needed a realtime  
24 database or not a realtime database, you know, a disable feature  
25 or not, would actually be requests from NTIA based on federal

1 users. But they'd have to be operationalized through the FCC  
2 presumably who sets the rules for private sector sharing and  
3 device certification.

4           So Proposed Recommendation No. 2 is, to the extent  
5 possible, NTIA, again in coordination with the FCC, should  
6 require that a new unlicensed or shared bands devices be capable  
7 of connecting periodically to call home and obtain a firmware  
8 update, and to be disabled in a particular frequency or moved to  
9 another band when necessary.

10           So that's really probably just a particular instance,  
11 or the most likely instance of Recommendation 1, which is  
12 generally move from post hoc enforcement to technology based  
13 solutions that are baked into the device certification.

14           MR. NEBBIA: This is Karl Nebbia.

15           So I'm understanding then from that the most  
16 applicable place for those recommendations -- and there may be  
17 cases when the government is getting into a nonfederal band. I  
18 haven't seen those in my career.

19           But anyway, given that it's likely to happen the other  
20 way around, my understanding then is that when the commission  
21 comes with a new rulemaking to allow something along this line,  
22 that you're encouraging NTIA to take a more or less hard line  
23 position in working with the commission to say, For us to  
24 approve this, this is the thing that you have to incorporate in  
25 your rulemaking.

1 MR. CALABRESE: Yes. I'm not sure I'd use the word  
2 "hard line."

3 DR. KAHN: The NTIA owns that band, so in the sense  
4 it's going to be chaired, the NTIA is sort of structuring what  
5 the rules need to be on the other side.

6 MR. CALABRESE: Yes, exactly. And it's better to  
7 simply --

8 DR. KAHN: Right.

9 MR. CALABRESE -- have those ground rules than not have  
10 access to the band, or have, you know, very limited access.

11 MR. FONTES: Dale, did you have a comment?

12 MR. HATFIELD: I do. I would like to come back to a  
13 question I have.

14 MR. REASER: I have a short comment. I'd like to get  
15 back to your comment -- Rick Reaser -- about moving in.

16 Enforcement is how you do that. I tent my house every  
17 ten years now for termites. What that means is that we're going  
18 to have to replace wood that they've eaten.

19 It's a continual enforcement process. That's how you  
20 keep people from moving in. You've got to go enforce it. So  
21 this enforcement thing is really key to all the other things we  
22 do as well.

23 So you're right. Maybe eventually, like Masada,  
24 they'll eventually bridge the gap and want to commit suicide and  
25 it'll be over. But that's, you know, I don't go in that

1 direction. I know that's happened in the past, and eventually  
2 maybe we'll lose in the end.

3 And yet if you don't enforce at all you'll never get  
4 anywhere. That's why the enforcement thing is so important;  
5 otherwise this whole issue of enforcement gets down to the  
6 business of, you know, squatters, and all that kind of stuff.  
7 That's why you do it.

8 MR. CROSBY: I agree. But the world's changing so  
9 quickly, whatever rules you -- and I assume NTIA's willing to  
10 even create some enforcement things. I don't know if you've  
11 ever done that before, I'm not sure, for parties that aren't  
12 government users.

13 MR. NEBBIA: Commission.

14 MR. CROSBY: It's all big leaps of faith. But you're  
15 going to have to revisit this, Rick, all the time. All the  
16 time.

17 MR. REASER: I tent every ten years.

18 CHAIR FONTES: Dale?

19 MR. HATFIELD: I'm still a little bit concerned about  
20 I think what you call the smart -- I mean, the dumb cheap  
21 devices.

22 Is the vision here that unlicensed in the future will  
23 be limited to fairly sophisticated devices, rather than -- I  
24 mean, are we -- I mean, there's a whole lot of things out there  
25 that are unlicensed today that are really really useful things

1 that are dumb.

2           It's just not clear. Are we saying we're going to  
3 preclude those from operating in the future in these bands?  
4 Maybe that's the answer.

5           MR. CALABRESE: You're skipping ahead to  
6 Recommendation No. 5. And again this is very tentative.

7           THE FLOOR: This one we discussed the least.

8           MR. CALABRESE: But Kevin should weigh in. He was,  
9 you know, talking about this a lot.

10           But yes, I totally agree. In fact, with the so-called  
11 Internet things you're going to have potentially billions of  
12 unlicensed devices, you know, built into everything and  
13 networking, but not necessarily connecting directly.

14           So what we suggested was NTIA, in coordination with  
15 FCC, should further study the framework for cheap dumb devices.

16           So for example, should we limit, you know, given that  
17 you could use, you know, future unlicensed and shared bands much  
18 more efficiently with connected devices that have these  
19 precautions built in, should we for example constrain those sort  
20 of devices to the existing legacy bands?

21           Clearly we've got an installed base already, for  
22 example the 2.4 and the 900, that you're not going to want to --  
23 not going to disrupt.

24           But it may be that in the future that's where all of  
25 those so-called dumb devices would need to operate. You'd have

1 a reservation for those, and not in a sense pollute every  
2 unlicensed band.

3 THE FLOOR: A junk band.

4 MR. GIBSON: So a garbage band.

5 MR. HATFIELD: So we turn it -- and I'm saying a  
6 bifurcated sort of unlicensed, there's unlicensed, a band that's  
7 more for connected devices and then a band for other things, and  
8 you would bifurcate essentially?

9 DR. KAHN: Yeah. This is Kevin again.

10 Two observations. One, the pressure for spectrum is  
11 coming from things that consume significant amounts of spectrum.  
12 Those are typically -- in fact, I challenge somebody to give me  
13 a good example in the commercial space.

14 Those are not devices that are not communicating;  
15 they're devices that are doing digital modulation and sending  
16 real information. They don't do that.

17 I mean, the amount of data from a garage door opener  
18 is tiny. So, you know, item 1, the dominant pressure for being  
19 able to put these new devices up are devices that inherently are  
20 smart; they're not dumb.

21 By the way, the other part of this is, What do you  
22 mean by dumb? We are pretty quickly headed for a world where  
23 the next generation of garage door openers could be a signal off  
24 your iPhone or your Android, right?

25 I mean, things that we in the past have considered



1 dumb in the sense they interpret and something happens, go look  
2 at what's happening with home controls, with remote controls in  
3 the home, IRs being replaced by, you know, things on your Smart  
4 Phone.

5 So things that we have traditionally said were dumb  
6 aren't dumb anymore. You know, these things all have a  
7 significant amount of compute power in them of some sort, and  
8 they are typically more and more using a form of honest to God  
9 digital communication in order to up their function level.

10 So the place where the problem is is in fact on  
11 devices that are capable of doing what we would think of as  
12 fairly smart things. So I'm suggesting that, given that that's  
13 where the pressure's coming from let's take advantage of that  
14 and not act like these devices are stupid. They're not. That's  
15 not where the pressure is coming from.

16 MR. HATFIELD: Dale Hatfield.

17 I didn't mean to imply that I was criticizing this.  
18 But it just seems like it's a fairly major increase in the way  
19 we create unlicensed. It really is substantial. That's what I  
20 was reacting to.

21 And I still have a little bit of unease that  
22 unlicensed bands have always been a place where you can  
23 experiment a little bit. And it sounds like some of the stuff  
24 of having to call home sort of forces you into, forces you into  
25 a particular model and would be a burden on a new entrant just

1 trying to do something.

2           It's been a band where there's been -- Michael, I'm  
3 using your material here -- it's been a band where people could  
4 experiment. It seems like this would constrain people a little  
5 bit from trying to experiment.

6           MR. CALABRESE: Yes.

7           MR. HATFIELD: It's not just a simple power; it's a  
8 lot more.

9           MR. CALABRESE: It could. I mean, that's something we  
10 do need to really think about.

11           At the same time, you know, I think we're anticipating  
12 what we see happening anyway for example with the TV white  
13 space. You know, you have to, you know, use it, you know, use  
14 the controller database if you have GPS, and check in  
15 periodically with the database.

16           So when you anticipate the sort of places that  
17 unlicensed will be able to operate, which will be primarily in  
18 shared bands, you know, this may not be, this may not be so  
19 onerous, but could certainly make the unlicensed use more  
20 possible and more efficient.

21           But yes, we never want to preclude. We want to be  
22 careful in talking about it not to preclude either the  
23 experimentation or the simple devices.

24           CHAIR FONTES: Any other comments? Final comments on  
25 your presentation enforcement part of it?

1 MR. CALABRESE: No. I'm fine.

2 CHAIR FONTES: Great. Any other comments for Michael?  
3 Perfect.

4 We're going to go to the next presentation. This is  
5 the spectrum management improvement subcommittee.

6 MR. GIBSON: Bryan and I will share. Looks like we're  
7 ready to go.

8 This is Mark Gibson. And Bryan Tramont and I are  
9 co-chairing this subcommittee. The subcommittee was titled  
10 spectrum management improvement. And we basically focused on  
11 data improvement, how to improve the databases.

12 Our question we picked was 6-C, which you can read.  
13 What we did is we took it apart, and this is what we did. We  
14 reframed the question as you see there.

15 So we were looking at it more from the standpoint of  
16 how can we, what techniques can be put in place to ensure the  
17 accuracy of data, and how can they be streamlined and simplified  
18 and improved to make sure you're validating and identifying and  
19 correcting erroneous data, maintaining accuracy and ensuring  
20 compliance? That's how we pulled it apart.

21 And then the other part was, you know, what lessons  
22 learned and techniques can be drawn from the commercial  
23 experiences? We used our experience as a database, white space  
24 database administration, and the fact of maintaining databases  
25 for spectrum management as well as some commercial nonspectrum

1 databases, like for example DNS registration. So we don't have  
2 any specific details from those databases; more just lessons  
3 learned and best practices.

4 The key, so our guiding principle on this for the most  
5 part was the GAO report. There was a key statement in the GAO  
6 report that essentially said that the NTIA system lacks  
7 transparency in data validation processes, which makes it  
8 uncertain that spectrum management decisions are based on  
9 accurate and complete data.

10 And I will not comment on that. Although we do work  
11 that data, and that's a fairly accurate statement. I will say,  
12 though --

13 MR. TRAMONT: Exercising some restraint there.

14 MR. GIBSON: My comment is that's an accurate  
15 statement, but I don't want to make any comment. I have nothing  
16 more to say.

17 There was another aspect of the report that said that  
18 NTIA lacked resources. Karl said at the last meeting, you know,  
19 we've all done this -- and you'll see in our recommendation, one  
20 of our recommendations is the NTIA should, I don't think it's  
21 disingenuous to say the NTIA should go out and get more  
22 resources because indeed we think if they could do that they  
23 would.

24 So it's not just a resource issue; I mean, it's more  
25 of an allocation issue. We'll talk about that.

1           Here's the approach we took. We looked at the FCC  
2   licensing systems as a stand by side by side comparison. We  
3   also looked at industry spectrum management systems, our own as  
4   well as others.

5           Other similar data management systems. I wouldn't  
6   necessarily call DNS registration similar, but it was something  
7   we had some insight on through some of the committee members.  
8   And that was the data in Who Is database, which is you type in  
9   Who Is, and they'll tell you who the domain name belongs to.

10          Then we also looked at some government IT directives,  
11   specifically the OSTP plan from IT management. And that came  
12   from the government's IT CEO. And so there was a couple of  
13   guidances in there as well.

14          And finally we talked to NTIA staff, who were very  
15   helpful and very forthcoming.

16          I know that stuff's hard to read. I didn't realize  
17   that until I just put it up. I'm not even going to try to read  
18   it.

19          Basically what this is is the FCC's database. This is  
20   how they do it. As you probably know, the commission's in the  
21   middle of a four-year process to improve their data management  
22   systems. They're calling it consolidated database.

23          The third bullet there describes what the databases  
24   are. We don't need to get into all that. There are many  
25   databases and they are disparate. For example, the antenna

1 structure registration system is totally different than maybe  
2 some of the previous assignment databases.

3 Another key aspect to this, and you'll see this also  
4 at NTIA but not to the same extent -- and it's important that we  
5 remember this -- that regulator's databases are for licensing,  
6 not necessarily for spectrum management. That may be a paradigm  
7 shift we need to think about.

8 We certainly run into that with the commission's  
9 databases. There's information -- we heard this in the workshop  
10 yesterday. There's information on license records, but very  
11 little information on receiver data or receivers at all.

12 So what those of us that are in the commercial world  
13 would have to do is sort of have to triangulate on that. If we  
14 know this transmitter's being used and figure it's going to be  
15 associated with this receiver, and then we maintain separate  
16 databases for the receiver characteristics.

17 We're not sure that that's going to change, nor do we  
18 really want that to change. It's just sort of a piece of  
19 information.

20 Key point though is the commission manages about two  
21 million licenses. That's a lot of data. So what they are doing  
22 is moving to a consolidated licensing system. And the key  
23 features of that are geared generally to improve data, data  
24 accuracy and data consistency.

25 So if you can probably see in the handouts, you'll see

1 this also represented in our best practices. As I said, the  
2 process will take, you know, about four years last I heard;  
3 maybe a little quicker than that.

4 Some of the techniques that the commission uses now to  
5 ensure accuracy are essentially things that, you know, some of  
6 these are administrative and are more or less regulatory based.  
7 For example, holding licensees responsible for their own data.

8 Now, the NTIA does the same thing. The agency is more  
9 or less the licensees, and they are responsible for the data.  
10 But you'll see in one of the recommendations -- and we heard  
11 this a little bit ago -- there's an enforcement issue there.

12 Nonetheless, what the commission does is there are  
13 financial constraints or requirements. There's costs associated  
14 with licensing. They're not prohibitive but they are  
15 substantial. Obviously if they were prohibitive no one would  
16 use them. But, you know, they are substantial.

17 For example, if somebody wants to change a license  
18 record they may incur costs. So there's an inherent need to put  
19 good data in to begin with. And so that's the financial.

20 The FCC does have fine enforcement. I get the  
21 enforcement reports on a regular basis for people they go after  
22 who have not done their thing. They put, the commission puts  
23 enforcement in place.

24 And it's not so much for enforcement for people that  
25 put bad data in the database. It's for people who operate

1 without having licenses or their licenses expire. So it's more  
2 or less keeping the data updated as opposed to inaccurate.

3 As we say here, the regulatory rules place the  
4 requirement on the licensees who own the data so the commission  
5 is sort of just a data house. I don't mean to belittle it, but  
6 the licensees again, they own the data.

7 They also require to renew on a regular basis.  
8 Sometimes it's five -- most of it's a 10-year. Sometimes it's a  
9 little shorter, five year. So the data's constantly being  
10 updated.

11 Finally, they do do occasional cleanup efforts. The  
12 example is BRS, the Broadcast Radio Service. The example there  
13 was at the beginning of the 2.1 AWS there were 2.1 gigahertz BRS  
14 systems in that spectrum, yet the license information on those  
15 was very suspect because the data were damaged in the flood the  
16 commission had many years ago.

17 THE FLOOR: In Gettysburg.

18 MR. GIBSON: In Gettysburg, right.

19 So the data was sort of languishing, and there was a  
20 concern because these systems are very expensive. And new  
21 licensees were responsible for paying to relocate them.

22 And so the commission said, Look. In order for  
23 licensees to get a sense what they're going to be paying for  
24 this and get a sense of what the auction cost will be, BRS gave  
25 licensees an amnesty period for updating their data. They



1 actually gave them two periods, two 90-day periods I believe it  
2 was, the outcome of which is the data were considered to be  
3 final.

4 Now, in practice there was still discovery issues  
5 that happened when BRS licensees were contacted, but nonetheless  
6 it was a fairly well defined process that came out of it.

7 There's also procedural checks within the commission's  
8 database. It's just rudimentary checks in the licensing system.  
9 So for example, when coordinates are entered, they check the  
10 county more or less. And they also verify the FAA compliance  
11 with the slope and proximity to the airports.

12 Another thing the commission allows primarily in the  
13 ULS -- I don't know if they do this in the other databases -- is  
14 bulk data upload.

15 Now, the good news about bulk data upload is it  
16 minimizes human interaction. The bad news is it can propagate  
17 data errors. So it's incumbent upon the licensees that are  
18 interfacing with the database to ensure the data are accurate as  
19 they update it.

20 So what industry does in IT best practices, this is  
21 what we came up with. And for most of those of us that  
22 interface with databases on a regular basis this is probably  
23 going to seem like, Duh. But it bears, you know, mentioning.  
24 We'll put this together in the report.

25 The first bullet is, you know, on a regular basis

1 those of us that manage databases do data accuracy procedures.  
2 What we do is we contact licensees on a regular basis and ask  
3 them if their data are accurate, and we compare that data with  
4 the hard databases, and sometimes compare that to the  
5 commission's data.

6           There's many times we're going to be comparing data on  
7 a system that's inconsistent with what the commission has.

8           Now, if they're customers of ours many times what we  
9 will do is we will offer to them to update the data on their  
10 behalf with the commission's databases so the data are  
11 consistent.

12           There's also best practices, things like limiting  
13 interaction. What that means is like, for example, the mass  
14 uploads.

15           The other things for example using pick lists to pre-  
16 populate where possible. An example of that is with the  
17 commissions's ULS you can actually pick the service codes from a  
18 pick list. You weren't able to do that before the ULS was  
19 available.

20           Check and verify. Essentially that is, the way we do  
21 it is, one person enters the data and another person checks the  
22 data to verify the data are correct with respect to the records.

23           We said allocate appropriate resources. We put that  
24 in there to say you can't do this, you know, on a shoestring.  
25 It does take some effort and some purpose to do this work.

1           And as I said, and I guess it bears repeating, perform  
2 regular system datawide accuracy checks, i.e. fix the bad data.  
3 So that's the best practice.

4           Accountability. Again, this is actually one of the  
5 things out of the GAO report was to require individual  
6 accountability; make people accountable for what they do. And  
7 there should be lots of issues associated with making people  
8 accountable.

9           And then establish milestones and rewards for data  
10 accuracy. That's another thing we do. We incentivize people by  
11 saying, you know, If your errors are below such and such you get  
12 a cookie or something. Cookies don't tend to work out well.

13           The other thing is crosscheck and verify. What we do  
14 for example is again, if we see an emission designator or let's  
15 say some sort of a code that's incorrectly associated with the  
16 data records, we will crosscheck that to essentially say, Well,  
17 the technology you're saying doesn't support, for example, that  
18 power.

19           We can put a lot of that in behind the scenes data  
20 checking that we do. So for example if you enter this radio  
21 with this power, it will indicate that that's not necessarily  
22 allowed because that radio can't operate at that power. So we  
23 do the checking. And we can also verify through emission  
24 equipment.

25           Another thing we do is calculate where appropriate.

1 That should make sense. But for example, since terrain  
2 databases are fairly easy to come by anymore, if someone enters  
3 coordinates we should be able to pull the terrain data from  
4 those coordinates.

5 And then collect only the data necessary for the  
6 specific task. We've seen situations in other databases where  
7 for one data record you have, for one data license record, you  
8 have lots of data that's superfluous. So the recommendation is  
9 that you don't get more than you need.

10 What we did in this case is we talked to NTIA to see  
11 what their approach was. We had a nice interview with Tom  
12 Woods, and got a lot of information.

13 This is the information that we got from NTIA as to  
14 what they're doing with respect to the GAO report. It's in the  
15 paper copy so I'm not going to dwell on it.

16 Suffice it to say that they take the NTIA (sic) report  
17 very seriously. And they've had meetings internally to talk  
18 about how to kind of address it.

19 So the point needs to be made that the NTIA is  
20 actually doing things with respect to the GAO report so they  
21 don't need to address that.

22 They are also expecting improvements from the FSMS. I  
23 talked to Byron Barker out in the hall to get a better sense of  
24 what that is. Those of us who know the FSMS it's kind of taken  
25 a little bit of a turn. It's now being developed under the JFC

1 with, evolving through the NTIA in that connection. It think  
2 it's changing a little bit.

3           Essentially what the FSMS is supposed to do is  
4 actually make it easier to do analysis. We understand that  
5 they're going to try to improve the data parts of that as well  
6 through various means. But we're still digging a little more  
7 into that. And the timeframe is still about four to five years  
8 out.

9           And so these are the recommendations, so this is sort  
10 of the takeaway. So the NTIA should -- we were asked to say  
11 what the NTIA should do. Here it is.

12           I think the first thing we said was as soon as  
13 practicable -- and whether or not this is practical we make no  
14 comment. It may not be practical. In fact, we had some  
15 discussion beforehand about the practicability of this but it  
16 would be sort of nice to have, and that is, take an effort to  
17 clean up the data.

18           You know, it's great to try to fix the data moving  
19 forward. But if the data behind is not accurate, you know,  
20 we're still asymmetric there.

21           So the idea would be to, you know, lock down, take an  
22 effort, however long that would take to go back and review all  
23 the assignments, and to clean them up.

24           I know that 30,000 foot what does "cleanup" mean? We  
25 have to get into the details of that. But that was one

1 recommendation.

2 Another recommendation was to establish goals and  
3 metrics for data accuracy and milestones for achieving those  
4 goals. If you're going to clean up the data you need to have  
5 some milestones for doing it.

6 There's a lot of data there. They're probably  
7 consistent with the commission's numbers. So that's a lot of  
8 work, to look at every assignment. So establishing goals and  
9 metrics will help break that down.

10 The other is to put the responsibilities on the  
11 agencies since the agencies own the data. Various agencies take  
12 different approaches to their responsibilities on making sure  
13 that data are accurate.

14 So this is the enforcement approach that we were  
15 talking about to allow the, or make the agencies more  
16 accountable for the data.

17 It's hard, you know, if you get data you can't really  
18 tell is accurate. That's why you need to have better and more  
19 accurate data management systems. It would kick it back to the  
20 agencies and make them fix it, put them as responsible for it.

21 We also thought investigating distributing databases  
22 was a good idea. Because what you're doing with the data is  
23 you're pulling data from separate sources as opposed to one  
24 chunk, that being the geometrics, that .1.

25 For example, one database might be sight information.

1 Another database might be radio information. The sub databases  
2 of that might be closer data. It's called normalization in the  
3 database world. That's one of the suggestions.

4 Finally, continue to develop the FSMS, you know, with  
5 considering requirements for supporting data accuracy. The FSMS  
6 has been out there for a while. But it meets the greenfield  
7 development where there are requirements being discussed right  
8 now.

9 To the extent we can put data accuracy requirements  
10 into these requirements, you can use that as a process. You can  
11 also go back to the GM systems community as well.

12 That completes that. Well, actually there's one more  
13 thing. Sorry.

14 We were asked to identify the data that is sufficient  
15 for spectrum planning. And this is it, really; I mean, at least  
16 it's what we use. You can blow this up into, you know, many  
17 more fields.

18 But data on transmitters' and receivers' location to  
19 where the systems are operating, information on equipment,  
20 information on tasks, and the operational characteristics.

21 So, you know, sometimes it may seem daunting trying to  
22 pull a database together for doing spectrum management, spectrum  
23 planning. But in the end, this is the template that we need.

24 MR. TRAMONT: The second question will be the topic at  
25 the next meeting.

1           This second is the next question. This is our first  
2 examination of the next question. Obviously the first question,  
3 6-C, is where we spent our, where we're trying to move forward  
4 to.

5           MR. GIBSON: That's 6-A.

6           CHAIR FONTES: Gary had a comment or question. Then  
7 we'll go to Carl.

8           MR. EPSTEIN: Everything overlaps everything else, of  
9 course. We, you know, the working groups said it would've been  
10 great if we had all this information so we could figure out what  
11 to do with the spectrum.

12           What this one seems to come down to is, it all looks  
13 very neat and I can see the incentives with the FCC and I can  
14 see the incentives with industry.

15           This, in some sense, comes down to the enforcement  
16 mechanism. What is that all about? Is there legal or other  
17 power here? Is it in any way realistic? Are we smoking  
18 something funny? You know, or how does that happen?

19           MR. TRAMONT: I think the incentive problem -- and  
20 this probably runs together -- on the enforcement side there  
21 are, we understood at least from my interview with NTIA, there  
22 are not clear enforcement, there are not any obvious  
23 enforcements in place.

24           One in political escalation, so one of our  
25 recommendations was to expedite the path to political



1 escalation. And I think Jennifer pointed out, people's careers  
2 can depend on the effectiveness of performing these tasks. So  
3 there is obviously a career impact.

4 But that also could be made more, shall we say,  
5 transparent to the folks involved. So there's not, you know --  
6 in the FCC context obviously we cannot -- we can support it but  
7 we do not have the normal tools you would use for enforcement in  
8 the FCC context, and we're trying to find ways to create some  
9 parallel processes with NTIA is one of the topics we spent some  
10 time on.

11 MR. FONTES: Jennifer, and then Karl.

12 MS. WARREN: Jennifer Warren.

13 Just to add maybe just one nuance to Bryan's point  
14 about the political escalation, we were talking about that in  
15 the context of raising it above like the IRAC level to the next  
16 level and the next level, not talking about going to the  
17 agencies, that sort of thing. Just wanted to be clear.

18 CHAIR FONTES: Karl?

19 MR. NEBBIA: I just wanted to point out, I think one  
20 of the things that's really important for us to understand is  
21 how much you would expect this kind of thing to cost because in  
22 terms of numbers of people that you think would be required to  
23 do it, and then ultimately that gets linked to what the cost  
24 would be.

25 Because I think if we're -- we've worked

1 traditionally, and I think the commission has also, on the basis  
2 of we regulate as little as possible. And now we're moving in  
3 where we're more, we've got all these spectrum issues to  
4 resolve, and sometimes we don't have the data for it so the  
5 pressure seems to be going the other direction.

6 But realistically right now we find errors, we get  
7 them corrected; that's one approach. Going through the whole  
8 database and trying to go out on each field operation is another  
9 thing.

10 I think I just as you look at that -- and I'd  
11 appreciate it if you could try to provide us whatever feedback  
12 you can as we close out this particular recommendation -- is  
13 considering there when you are cleaning up a database of fixed  
14 links, most of what you have is pretty homogenous, same types of  
15 systems. If somebody writes something down it really stands out  
16 if it's unusual or odd.

17 We're dealing with all kinds of different systems,  
18 some of which we've never seen. They tell me, I'm operating  
19 this kind of radio. Gee, whiz. I've never actually seen one of  
20 those face to face, and I wouldn't know if the characteristics  
21 are right or wrong. That's why we rely on the folks out in the  
22 field.

23 Anyway, if you can, any way you can quantify that to  
24 give us a sense of what that might cost, then when we talk with  
25 folks on the hill we can be specific about them.

1 MR. GIBSON: This is Mark.

2 And yes, we talked off line about that. So we'll take  
3 a stab at that.

4 I think, you know, none of us is thinking that we're  
5 going to make the database 100 percent accurate nor should that  
6 even be a goal. But as accurate as possible given some of that.

7 And I would also say, you know, Jennifer and I talked  
8 about this before the meeting. You know, there may be ways  
9 through the existing procedures that we can do this. The IRAC  
10 process.

11 You know, the idea is not necessarily to make it more  
12 difficult or more costly. But, you know, the report says, you  
13 know, the NTIA lacks resources, you know. That's a bit of an  
14 albatross. But we shouldn't go back to that as an excuse for  
15 not doing it.

16 You know, we need to be creative about trying to throw  
17 this into processes and procedures. We'll do that.

18 MR. REASER: This is Rick Reaser.

19 I think there's an important recommendation that we  
20 kind of glossed over. Okay. It's about the distributed  
21 database thing. I just went through this last night with the  
22 track and field example.

23 One of the things that goes on in some of these huge  
24 databases -- and I participated in the national track and field  
25 database for college and high school.

1           It's an open database. Everybody gets to see every  
2 number that goes in there, every mark, every measurement, every  
3 name, every grade, every unit. And what happens is a lot of  
4 policing and enforcement stuff happens from other people who  
5 pick up on stuff because there's a lot of people looking at the  
6 data.

7           So if you went to something like a distributive  
8 approach -- because right now, the approach you have now, there  
9 are errors on all sorts of stuff we build. To get them fixed  
10 you'd give up.

11           If there was a way you could do like I do in the track  
12 and field database where I put a note next to the record, Her  
13 name is really spelled this way. She's a sophomore, not a  
14 junior in college in eligibility. And there's one mark, Here it  
15 is. I have another record.

16           I can put that mark in and it goes in and sort of like  
17 a Wikipedia sort of thing. So, but the deal is, and you know  
18 something? It gets fixed. There's a person who's responsible  
19 for that meet, for that record, and that event, and they fix it  
20 based on comments they get from others.

21           I think this whole issue of the distributive thing  
22 might be something that you want to look at. And if you  
23 actually were smart enough to let contractors have access to  
24 this they'd be fixing stuff left and right making correction to  
25 our stuff about powers and modulations and model numbers and

1 things. We'd submit those kinds of things to them and they'd  
2 get them fixed.

3 We like to have the stuff -- we don't want our  
4 equipment misrepresented in government databases, especially  
5 when it involves minor changes like we got things on reverse  
6 part numbers we've been trying to fix for five years.

7 I mean, so I think this distributive idea really has  
8 power behind it. And there's a lot of things out there. I see  
9 some people nodding their head. It shouldn't be that difficult  
10 to get goodness into the data.

11 MR. GIBSON: That I think was why the reference to  
12 some of the Internet operational database, to keep the network,  
13 for example --

14 DR. KAHN: They're all maintained in a URL industry  
15 manner. And there isn't some huge infrastructure in one place  
16 that somebody's funding to, you know, keep it accurate.

17 Yeah, there's money being spent on it; there's no  
18 question. But, you know, I think sort of the underlying tone of  
19 this is that you need to put more of the responsibility -- not  
20 so much on you guys taking it on, you're right. Budgetarily  
21 that will kill you.

22 But essentially to force that responsibility back on  
23 the people who actually have the raw data at the beginning of  
24 the process because it's also the cheapest place to do it if you  
25 have the right structure in place.

1 CHAIR FONTES: Dale?

2 MR. HATFIELD: Very quick question. I'm hung up on  
3 receivers, and what receivers consume. The spectrum, we've  
4 taken all this time talking about transmitters, and sort of a --  
5 receivers were sort of a footnote.

6 You can almost reverse the process. What we really  
7 need to know about is what receivers are out there so we can  
8 prevent the current sort of debacles that we're having right  
9 now.

10 It wasn't clear to me. And I realize in some  
11 situations like the weather band radio, you don't even control  
12 that. The people, a lot of people buy a lot cheap weather band  
13 receivers, and you're going to have an effect on the ability to  
14 use the spectrum on the receiver side.

15 So I've got sort of an uneasiness here that we're  
16 focusing on the wrong side of the problem; that maybe we should  
17 be focusing more on the receiver side.

18 MR. GIBSON: This is Mark again.

19 Good point. That's why, you know, in the set of data  
20 sufficient for spectrum planning, it isn't in capital letters,  
21 but we did have "receivers" up there, transmitter receiver  
22 information, make, manufacturer, model.

23 The intent is, you know, if you have that baseline  
24 information you can instruct the underlying data necessary to  
25 support spectrum planning.

1           So your point is very well taken. We should've said  
2 more about it. That was the intent.

3           CHAIR FONTES: Okay, great. We're through with the  
4 presentations.

5           We're just going to go through the rest of the agenda  
6 here. There's going to be some modifications simply because of  
7 the time constraints, and also the fact that some folks are  
8 scheduled to make flights.

9           So what I'd like to do now is open it up for comments  
10 from the public if you will, those on the phone first, to the  
11 presentations that were made today.

12           Now, I'll be perfectly honest with you. The phone  
13 connection is abysmal. If I were responsible for it I would  
14 apologize. But I'm still apologizing. Is that being polite?

15           But is there anybody calling with a question? I will  
16 take that as a no. I apologize.

17           Anybody in the audience here? I know there's one  
18 person here, Pierre de Vries, if I'm pronouncing your name  
19 correctly, who will want to make a short presentation here.  
20 We'll have that. I just want to make sure there weren't any  
21 other comments.

22           We will also be eliminating the 10-minute break for  
23 obvious reasons. And what I'd like to do is go ahead and turn  
24 it over to Pierre.

25           Pierre, introduce yourself.

1 MR. DE VRIES: Thank you very much. I am Pierre  
2 de Vries, senior adjunct fellow at Silicon Flatirons.

3 What I would like to do is to just give you a quick  
4 snapshot of some research that we've been doing at Silicon  
5 Flatirons in the last few years. This should only take five  
6 minutes, the mythical five minutes.

7 I'd like to start with the quote that I came across a  
8 couple of days ago in a wonderful book by Adam Gopnik about  
9 Charles Darwin and Abraham Lincoln. He was talking about  
10 Lincoln's practice as a lawyer.

11 Gopnik says, Law is the practice of rules in the  
12 context of deals. And that really struck me. And I started  
13 thinking about its application to what you do and what I'm  
14 thinking about.

15 And if you think about regulation, perhaps you need to  
16 twist it around a little bit and say, Regulation is the practice  
17 of deals in the context of rules.

18 And it struck me, in the short time that I've been  
19 working on this area -- compared to the people that are in this  
20 room, I'm an absolutely novice. I've only been doing this ten  
21 years.

22 There's no shortage of rules. But there's a woeful  
23 inadequacy in our ability to do deals of all sorts, not just  
24 commercial deals, but also the kinds of conversations that we've  
25 been talking about today.



1           So we need to do more deals because there's this  
2 increasingly intensive coexistence of diverse radio systems,  
3 parameters that need to be adjusted all the time because  
4 technology adjusts, business models change.

5           At the same time there seems to be an inefficiency in  
6 the institutions, inability to actually resolve conflicts in  
7 less than many many years.

8           So that led us to think about how one might change  
9 operating rights, how they're defined, how they're signed, and  
10 how they are enforced.

11           And so we've been working on this for a couple of  
12 years at Silicon Flatirons. It was inspired by Dale Hatfield's  
13 concern about the adjacent channel and out of bound interference  
14 problems, particularly when you have different services on  
15 different size frequency boundary.

16           So we started back in September of 2009 -- we have a  
17 small workshop here in Boulder -- to explore the reasons for the  
18 cross channel interference problems, mostly taking the  
19 engineering view on that.

20           At last year's ISOT, building on what I learned in  
21 that workshop, I made a presentation that had, broadly speaking,  
22 two recommendations. One was that one should aim regulation not  
23 at trying to minimize interference, but actually to maximize the  
24 value of the radio operation.

25           In a perfect world those two things are in fact just

1 the duals of each other. But I think there's a very different  
2 emphasis you have.

3 The way in which, one way in which you can actually  
4 maximize or think about maximizing value is to define operating  
5 rights more precisely. And we introduce this notion of the  
6 three Ps: Probabilistic, reception protections, and  
7 transmission permission, so probabilistic, permission, and  
8 protections.

9 In November of last year we had a DC conference  
10 sponsored by Flatirons and various other people where we added  
11 lawyers and economists to the conversation.

12 We had some very good contributions from Michael  
13 Calabrese and Greg Rosston and Tom Hazlett and John Williams.  
14 And we're planning another small workshop here in Boulder in a  
15 couple of months in October.

16 There we're going to focus on something that I've  
17 heard quite a lot about this afternoon, receiver issues and  
18 enforcement issues.

19 So to just briefly summarize where we are right now,  
20 it seems to me that to maximize value of radio operation you  
21 need to do three things, rule of threes.

22 The first is, define the asset, which is the  
23 permission to operate, more precisely and objectively. The  
24 second is to make rights enforcement more efficient. And the  
25 third is to facilitate transactions.

1           So in the time I have I'm just going to talk a little  
2 bit about the first of those three. If anybody's interested in  
3 learning more there are a couple of copies of a paper that my  
4 co-author and I have been working on.

5           If in the wonderful outcome you've run out of copies,  
6 contact me or ask Dale.

7           The three Ps is the synthesis of a lot of work of the  
8 last couple of decades, work that Bob Mathieson has done, an  
9 Electrospace work that was done in the UK on spectrum usage  
10 rights where you define transmission permissions in terms of  
11 resulting energy.

12           I'm going to focus on the reception protections,  
13 because that's slightly more novel and less talked about. What  
14 I mean by that is a statistically defined ceiling on the inbound  
15 and the out of bound energy that a licensee or operator can be  
16 expected to live with.

17           And once that's known, once you know how the  
18 protection levels are for an operator, you can in fact define  
19 the transmission permissions on the adjacent operations to them.

20           I just want to flag three things which I think are  
21 interesting about reception protections. The first one is, we  
22 heard some conversations about -- Tom, you mentioned the defined  
23 levels of interference, so this harmful interference metric, and  
24 what that is, and let's just live with it if it's ambiguous.

25           I think reception protection levels are a way to make

1 that much less ambiguous. It says, This is the level to which a  
2 receiver is protected. If the energy level is below that there  
3 is no harmful interference.

4 The second benefit is, I believe largely this obviates  
5 the need for receiver standards. Essentially you describe the  
6 operating environment rather than the receiver performance, and  
7 it's then up to the operator to figure out whether they want to  
8 build a really good receiver or whether they want to live with  
9 the interference and have degradation.

10 I think the third benefit is that it allows you to get  
11 past this very vague, harmful interference standard.

12 I'm going to stop there. Hopefully I've piqued  
13 people's interests here if people want to talk more. And grab a  
14 paper.

15 CHAIR FONTES: Thank you very much. Quite interesting  
16 actually.

17 So at this point we'd like to, rather than just go  
18 through, we'll go with Eric.

19 MR. NELSON: Yes.

20 CHAIR FONTES: Thank you.

21 Eric is the next-to-last item on the agenda just prior  
22 to adjourning the meeting. That's not quite what's going to  
23 happen. Thank you, Eric.

24 MR. NELSON: Thank you. On behalf of the spectrum  
25 propagation industry we appreciate the opportunity to give a

1 little bit of an update on the progress we've made on the  
2 spectrum sharing innovation test-bed.

3 A little bit of the title's missing there.  
4 Technically it's a pilot program. So going into this part of  
5 what we're trying to do is not only test devices but also  
6 evaluate the nature of testing itself along the lines of the  
7 WSRD meeting yesterday, ask the question as we go along, What is  
8 a test-bed?

9 So it's an opportunity to look at successes and  
10 failures as we go, and be honest with ourselves about having  
11 improved processes.

12 So starting, there was a public process we went  
13 through to -- it was a notice that went out and invited the  
14 parties to volunteer devices for participation.

15 That is list of companies that originally expressed  
16 interest in participating. One of these parties dropped out  
17 about six months into the program.

18 So we went through a test plan development process.  
19 So this is a whole series of meetings that we had. Public  
20 notice participant meetings occurred in autumn of 2008.

21 Those meetings gave us an opportunity at least to  
22 whiteboard what the various characteristics of the radios were  
23 so we could try to put together a one-size-fits-all test plans  
24 for the different radios.

25 Subsequent to that we drafted the test plan; went for

1 agency review to the IRAC technical subcommittee, and then back  
2 to the participants for their comment and eventually out for  
3 public review and comment which occurred in January 2009. First  
4 test article arrived in the spring of 2009.

5           So this is kind of an eye chart as well. It's a list  
6 of the different tests that we have. All this information is up  
7 on line. If you go to the OSM's website there's a whole page  
8 dedicated to the test-bed. There's also progress reports on it  
9 as well.

10           My goal today is to kind of give you some of the back  
11 door description of what's going on describing some of the  
12 frustrations and successes we've had in the laboratory.

13           But the first set of tests we had a huge new emission  
14 characterizations. That's, you know, essentially looking at the  
15 500 test DSA devices. And measuring new emissions so that, for  
16 a variety of reasons.

17           One, for just your kind of your classic emission mask  
18 type measurement. But as well we would do a vector signal  
19 analyser capture of the emissions so that we could use it for  
20 some compatibility testing later on.

21           Then we have sensor characterization. So we would  
22 look at these devices, have a list of talk capabilities. We  
23 looked at the sensitivity to have the sensors in actual  
24 communications mode, so we would get them talking to each other.

25           Then we would evaluate not only how well did they

1 sense in terms of how, what -- both the power they would sense  
2 but how quickly they would sense, so it was a combination. We  
3 did that for both simulated static land mobile signals as well  
4 as standard ones.

5 Then a couple of other tests. And I'll speak a little  
6 bit more about some of these on the latest slide. We tried to  
7 look at what are the various RF effects that may occur. And  
8 tried to put together some test procedures for that.

9 One of the concerns we had, for instance, was sensor  
10 desensitization. If we have a real strong band signal from  
11 maybe a trunk land mobile radio system and the DSA device has a  
12 lot of power coming out of it, is it possible for that to  
13 desensitize the DSA device on that front end so that it might  
14 not be able to see some other channels that are, you know, in a  
15 a near or far type scenario?

16 The number of tests we did for geolocation, the  
17 spectrum access behavior is really just kind of looking at  
18 protocols. And the notion of those tests as the spectrum  
19 becomes more and more occupied does the DSA device gracefully  
20 exit channels.

21 You're also looking at cooperative sensing as well.  
22 Would a client be able to tell the base about something that  
23 only it could see. And then, you know, see if the base  
24 responded in kind to vacate the channel.

25 We did an LR emission characterization. So that's

1 something just to, just to provide DSA operatives a little bit  
2 of information about land mobile load. The waveforms are fairly  
3 well-known.

4 And then finally on the upper right there we have LMR  
5 receiver performance. So that's kind of classic interference  
6 protection criteria test. This is where we took the captured  
7 emissions from the DSA device and injected it into the land  
8 mobile radio.

9 We looked at both co-channel op frequency, and then  
10 one of the tests is looking at kind of the protocol behavior for  
11 project 25. It turns out if you, if you're in a situation where  
12 you've got a hidden land mobile radio, and the DSA device does  
13 properly detect when it's in the middle of a transmission, it's  
14 possible to knock out 5 milliseconds frame sync on a P-25  
15 transmission.

16 The result of losing that frame sync is you lose the  
17 header of the transmission. If you lose the header you lose the  
18 whole first frame of the transmission. So that's something we  
19 tested as well and verified.

20 The last set of tests in Phase I, which is kind of  
21 Phase I encompasses our laboratory investigation, we took our  
22 equipment out to our field lab at Table Mountain, and did some  
23 radiative measurements there. The benefit of that is that it  
24 allowed us to get outside the, you know, ideal complex of a lab  
25 where we have sheltered enclosures.



1           And sure enough when we did take the equipment out to  
2 Table Mountain and tried to set up a control test to evaluate,  
3 you know, sensor behavior, we had, you know, uncontrolled  
4 devices popping up and kicking, kicking the DSA device into  
5 different channels and things like that. So it was a useful,  
6 useful experience out there.

7           We spent the last about nine to twelve months,  
8 depending on what you consider our first draft test plan, the  
9 maturity of that. But we've been putting together anticipated  
10 Phase II and III testing. So Phase II and III is essentially  
11 field testing.

12           The distinction of Phase II for the sake of agency  
13 feedback we got. They wanted to kind of see, you know, some  
14 demonstration in a truly dynamic environment that the DSA  
15 devices were properly detecting the void. So we cobbled  
16 together some combiners.

17           So we're able actually to get the two devices to talk  
18 to each other, DSA devices, through a conductive path and then  
19 couple the ambient LMR signals into them to see how they behave  
20 and with the test this one out, alter out the test range and  
21 expose the DSA devices to all different types of radio systems.

22           Beyond that Phase III test we've got a hidden note  
23 test which we had planned, which is essentially it's a near-far  
24 type scenario, trying to see with an actual land mobile radio in  
25 service as a DSA device comes in from a greater range, where

1 does it actually detect, and what is that actual mechanism.

2           And then we have a conventional LMR test. The trunk  
3 system test focuses on the control channel, because essentially  
4 with land mobile radio, once you get a voice channel grant,  
5 trunk systems look a lot like conventional systems in terms of  
6 susceptibility.

7           And then the test finally rounds out with some  
8 geolocation tests.

9           So I'll go through some of the challenges that we had.  
10 Each participant came in with a unique device. This is in the  
11 summary report that our Office of Spectrum Management put  
12 together. We have an annual report.

13           So it just lists the various characteristics of the  
14 device. We have some devices with contiguous channels today  
15 that are channel structures maybe, you know, more than a  
16 megahertz wide. We've got other devices that are OFDM. They  
17 essentially suppress that period.

18           That's been quite a bit of a challenge to us because  
19 some of the tests that we do we try to assess whether something  
20 has actually left the channel, and so to actually get input, you  
21 know, off of a spectrum analyzer, for instance, or an  
22 oscilloscope, requires a little more fine tuning than you would  
23 have if it was just on or off.

24           Now, if you have not just on or off but it's  
25 potentially 500 carriers, which ones are on and off? So that

1 complicates things a bit.

2           So we've had to customize the test fixtures quite a  
3 bit to adapt to the various devices. Just to give you an idea,  
4 before I joined the Spectrum Propagation Agency I worked at our,  
5 in our public safety communications research lab, which did a  
6 lot of land mobile radio testing.

7           So I put here an example of kind of a typical land  
8 mobile radio receiver test. So this is a test setup that you  
9 would use to evaluate maybe co-channel or adjacent channel  
10 rejection for a land mobile radio.

11           So you've got receiver in the test that, you know, has  
12 some sort of EER detector and there's essentially a couple of RF  
13 signal generators combined, and you put that signal. For land  
14 mobile radio, the testing is separate; you test the transmitter  
15 separate from the receivers.

16           And this is a picture of kind of a typical test that  
17 we had for the test-bed. And what you have at the top, the top  
18 row there, is a chain of directional couplers and attenuators.  
19 That essentially allows us to get a conductive connection going  
20 within the two devices on your test.

21           But then we've got to tap into that and inject -- you  
22 know, in the lower left there we've got a vector signal  
23 generator that injects an incumbent signal that we're  
24 simulating. We have to run it through a number of different  
25 circulators to get the proper isolation.

1           Then over on the top there, the second directional  
2 coupler then provides signals that we can then dump into a  
3 digital storage oscilloscope so that we can evaluate, you know,  
4 when the device triggered, how long it took to vacate the  
5 channel. You can look at the difference between the base and  
6 the client in terms of vacating the channel.

7           So a considerably more complex system to iron out.  
8 Just to set it up takes a couple of hours to get all the  
9 connectors just right.

10           In fact, one of the things we struggled with is you  
11 might run a test, then you repeat it a month later, and if you  
12 don't connect every single connector just the way you did the  
13 last time -- and frankly even if you did -- you're going to find  
14 a one TDD difference in sensor sensitivity.

15           In a lot of cases, you know, our measurement error's  
16 on the order of the actual difference between the phenomena  
17 we're trying to measure.

18           Third point here, we mentioned lack of uniformity in  
19 test modes. So in some cases we had to actually modify the test  
20 fixtures, and we had to actually start reinterpreting the nature  
21 of the test.

22           If you're trying to, for some of the radios, if you're  
23 trying to force them out of service, the hypothesis being that  
24 you could get into a very dense environment where there is a lot  
25 of activity if there are co-channel assignment between the DSA

1 device and land mobile in that market, we anticipated that the  
2 DSA devices would actually completely shut down.

3           That may be true for some devices, but other devices,  
4 if they're running OFDM where they're just simply notching  
5 subcarriers, we struggle with, Well, is there a possibility that  
6 you would ever really have all of those subcarriers need to shut  
7 down?

8           So part of what we've had to do as we go along is  
9 really investigate what's the philosophy behind the testing.  
10 And make adaptations s to the test procedures to adjust for  
11 different type of equipment.

12           Some of the program challenges we had, first point,  
13 you know, not having prior experience, the meetings we had with  
14 each participant was very educational. We did walk through, you  
15 know, for several hours the characteristics of the device.

16           But we found that in the first week of having the  
17 actual device in front of us that, Boy, it would have been  
18 really nice if we could develop the test procedure after we had  
19 the chance to kick the tires on the radios for a while, see how  
20 they work.

21           That was just something that was a frustration and we  
22 put down as kind of a lesson learned maybe for some next  
23 iteration is maybe some sort of trial period where you can get  
24 in and actually gain familiarity with the equipment before you  
25 start developing test procedures.

1           Other issues we've had is some of the equipment came  
2 up in the WSRD meeting yesterday where some folks come to a  
3 test-bed with the notion that they're ready for rulemaking.  
4 Other folks had come in and kind of said, Well, we just really  
5 want to find out what sharing's all about. We want to learn  
6 from you, so there's been a disparity between the preparedness  
7 of the different participants.

8           You know, in one case we have a radio that got  
9 rebanded. And it works real well on a 50, 50 unload. But when  
10 you hook a mobile antenna, mag mount antenna to it, it gets a  
11 visual fault and the radio shuts down.

12           We're actually kind of struggling right now to find an  
13 antenna that will actually work with this thing for field  
14 testing.

15           And other issues we've had, there's been a broad level  
16 of protocol maturity. One of the devices we assessed didn't  
17 have any coordination between transmit and receive. And so when  
18 the base saw subscriber transmissions it detected them and it  
19 vacated the channel because it had no way of differentiating  
20 between an incumbent signal and a DUT or processor test DSA  
21 signal. So essentially what this device would do in practice  
22 would just be to constantly vacate the channel because it would  
23 detect itself.

24           And that's, you know, some of these devices will have  
25 to actually debug software just to get them to work, issues like

1 that that we've had to deal with to just keep the ball rolling  
2 and really extract as much knowledge as we can out of these  
3 devices.

4 One thing that came up in the WSRD meeting as well,  
5 going to point No. 3 there, the participants' ability to support  
6 tech support requests from ITS is bringing in different issues  
7 really was a function of their funded business activities and  
8 the availability for dedicated support or even on call support  
9 varied widely.

10 And I know one of the things that came up in one of  
11 the WSRD calls a couple of months ago was the notice of NSF  
12 funding for test-bed participants.

13 Office of Spectrum Management is just funding an ITS  
14 testing at our end. But funding for the test-bed participants  
15 so that they would have the ability to customize their equipment  
16 for, you know, various test control points that are required and  
17 also just for general tech support would be useful.

18 And then the other thing that happened too is early on  
19 we were led to believe there was, you know, quite a few of these  
20 devices in the queue. And we really wanted to be proactive and  
21 be ready to bring them in. So we prepared a second test station  
22 to speed up our testing.

23 We identified another room by a shield of enclosure,  
24 you know, acquired all the necessary test fixtures and test  
25 equipment. And for a little while there we did have two devices

1 running in parallel.

2 But for the most part that second test station has sat  
3 idle just because of the ability of participants to get their  
4 product ready for us to getting into the queue.

5 And what happened about a year ago, the reason why we  
6 started working on the Phase III test plan, original plan was to  
7 run two test stations in parallel, get all I guess at this point  
8 five devices, because one of them had dropped out, get all five  
9 devices through the lab testing and then we were going to  
10 proceed to field testing.

11 Because we saw these delays, you know, we would make  
12 phone connections, phone calls with the various participants,  
13 and could see that some of them were struggling to get their  
14 devices ready, we decided to start drafting the field testing  
15 plan.

16 So we're going to proceed with field testing even  
17 before, as soon as we can get the field test plan approved; not  
18 necessarily making it contingent upon finishing the lab testing  
19 for all the devices.

20 So in terms of accomplishment, I think that we're just  
21 about done with the lab testing on our second device that we  
22 took in. And really this conference is the only reason why  
23 we're not finishing this week; folks are attending the  
24 conference. But they've just got like two days' worth of work  
25 left on that.



1           As I said, we have a third device that we've  
2 evaluated. And it just reached the point where there were  
3 enough protocol idiosyncrasies that it just didn't make sense  
4 for us to continue testing. It's really back in the  
5 participant's court to see what they want to do to work on the  
6 protocols for that device.

7           We just received a fourth device last week and went  
8 through training. And it has the test control points that we  
9 need for some of our timing measurements. We're able to check  
10 them out actually on the fly last week and they look pretty  
11 good.

12           A fifth device is out there. Presently it's not  
13 funded to the extent that it would be connected to a  
14 transceiver. So it would just be a sensor technology that we  
15 could evaluate. We could look at sensor sensitivity. But there  
16 isn't a transceiver behind it so it would go through a limited  
17 set of tests.

18           We have been, as I say, working on the draft test  
19 plan. It's out for review now by the participants. In the  
20 process of writing up that test plan we've also started  
21 preparing test fixtures, and started getting the necessary  
22 equipment for the devices.

23           That was when we discovered during the radiated tests  
24 we weren't able to get one of the devices to actually radiate  
25 through a mag mount antenna.

1           We're working right now as well -- the plan is to  
2     conduct the test in the Denver and Boulder area, so we're  
3     working with local agencies and coordinating that.

4           I wanted to share just some perspectives on test-beds,  
5     kind of taking a philosophical look at things. We understand  
6     it's been a time-consuming process. I guess in hindsight if we  
7     had some of that more exploratory period we maybe would've been  
8     able to shrink some of the testing for Phase I.

9           But we do believe that it's been indispensable to do  
10    the lab testing. We can actually stop a vector signal analyzer  
11    capture and play it back and really study the protocol. That is  
12    invaluable for when you take that device out in the field and  
13    you have some knowledge of what it may do so you can  
14    characterize it.

15           In terms of trying to look forward at, you know, what  
16    test-beds are going to look like in the future, and just looking  
17    at some of the issues that have happened with DFS as well, we  
18    believe incumbent systems in many cases are too complex and  
19    varied to necessarily strand in a single test-bed.

20           I know there's talk about putting together kind of a  
21    national test-bed, a clearinghouse. And there is a role for  
22    that. But, you know, it's going to have some constraints on it  
23    in terms of not only the cost of the equipment whether you can  
24    strand it, but also just the expertise of the people that you  
25    need to operate it.

1           And so we see definitely a role for NC-2 testing,  
2 being able to integrate testing within an actual network. And  
3 that's what we're looking to do is field testing for the land  
4 mobile radio test. Actually right now we're talking to the  
5 federal protective service to test on their actual system here  
6 in Denver.

7           One of the things we see, seen a lot of talk about,  
8 you know, I think the time-limited leases, the ability to  
9 actually go out and control some of these DSA devices, some of  
10 these policy databases we believe would give us some hooks into  
11 behavior of the devices under test so that you could in a  
12 controlled way not only get them fielded, but some of our  
13 thinking is you could maybe work towards a core set of behaviors  
14 and properties of a DSA device, and that would be something that  
15 you would then get out, you know, get it type accepted, get it  
16 out into service.

17           And then you could work through expanding policies  
18 over time, kind of a complete twist on the way things have  
19 worked for DFS, but start with a real solid core set of  
20 behaviors, and then work to expand the behaviors through NC-2  
21 testing is a idea that we've kicked around.

22           With less critical incumbent systems, you know, you  
23 could then go in and just do regular monitoring. And the  
24 critical ones, you know, you maybe go out and you do that kind  
25 of testing during maintenance windows so that you cannot cause

1 any harmful interference.

2 Other things we've looked at, we believe the  
3 interference protection criteria is absolutely essential. And  
4 it would have been ideal for this test-bed to actually get the  
5 IPC for land mobile radio out to DSA designers before they  
6 started designing systems to share with land mobile radio.

7 So that's something I think in the future, as we start  
8 exploring sharing other different types of devices that, you  
9 know, it'll really be important to get the IPC published in  
10 advance of developing new policies.

11 And just things to mention that are outside the scope,  
12 we see just the extreme importance of spectrum monitoring, you  
13 know, in the future.

14 Working with some of the test-bed participants, I  
15 really do believe you can, if you have enough iterations of  
16 this, if you take enough stabs at sensing and at policy  
17 databases, we can make these systems work but it's going to take  
18 multi iterations.

19 Evolution doesn't happen one mutation, like boom,  
20 there's a leg. There are thousands of mutations that have to  
21 happen to start producing function, functioning parts.

22 So that's not something that's going to happen in a  
23 test-bed where you throw it off to us for a year and we test it  
24 and kick it back to you. That's going to be pretty -- you know,  
25 we don't have geologic time to work with here.

1           So part of what you could do is to get the stuff out  
2 there with restrictive policies, and create an NC-2 test-bed  
3 where you really are testing the policies in a live test-bed.

4           But it's been mentioned here, the previous discussion  
5 about enforcement teams and toolsets are really something that  
6 we need to really start looking at so that future devices we're  
7 prepared to troubleshoot in the discovery.

8           Something that came up just in preparation for the  
9 conference, it's our understanding a large percentage of the  
10 problems with DFS devices is just people defeating the  
11 functionality.

12           We could spend, you know, as engineers a whole bunch  
13 of time putting together these very elegant systems and follow  
14 all the rules and processes and procedures, and some 17-year-old  
15 defeats, you know, all the processes and rules. It would be a  
16 shame if we spend all that hard engineering on it and don't make  
17 things tamperproof.

18           Then just, you know, another issues is conformity  
19 assessment processes. If we're going to start changing the way  
20 we envision certifying things we really have to, really have to  
21 think through that whole conformity assessment process in time  
22 cycles.

23           CHAIR FONTES: All right. Any questions or comments?

24           THE FLOOR: Very thorough.

25           MR. NELSON: I can leave the slides, yes.

1 CHAIR FONTES: Great. Any comments? Questions?

2 It's 5,000 feet over my head, but I'm glad you're  
3 doing this.

4 I'd like to turn it over to Bruce now to give us some  
5 information on the next meeting.

6 MR. WASHINGTON: Okay. Real briefly, I know you guys  
7 are tired; I know you're hungry and you're ready to go. But  
8 first I want to just thank the folks here at ITS Boulder for  
9 putting this on, supporting us.

10 I know we had some technical difficulties, but hey,  
11 we're in the technical business so we know we should be  
12 empathetic with that. But these guys did a bang-up job. I  
13 thank them for that.

14 The next meeting I understand where Karl will be  
15 looking at around about Octoberish. We've got some things that  
16 are going to kick out, so mark your calendars for October.

17 I will be putting out information. I will be  
18 expecting -- huh? I heard, Set a date. I heard, Pick a month.  
19 I think we'll take that back to co-chairs to put that out.

20 When we do that please RSVP on time so we can plan  
21 accordingly.

22 THE FLOOR: Give us a date, we'll RSVP on time.

23 MR. WASHINGTON: So that's all really I have.

24 We do have one bit. I'd like for the Chairman to  
25 promptly adjourn the meeting so the reporter can stop recording.

1 Then we just have one photo op and then we can be on our way.

2 CHAIR FONTES: I just want to thank everybody for  
3 coming out here. Thank you for the presentations today.

4 Meeting's adjourned.

5

6 (Whereupon the within proceedings adjourned at  
7 4:37 PM.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T I O N

I, Martha Loomis, Certified Shorthand Reporter,  
appointed to take the within proceedings hereby  
certify that the proceedings was taken by me, then reduced to  
typewritten form by means of computer-aided transcription; that  
the foregoing is a true transcript of the proceedings had  
subject to my ability to hear and understand, and that I have no  
interest in the proceedings.

IN WITNESS WHEREOF, I have hereunto set my hand.

\_\_\_\_\_  
Martha Loomis  
Certified Shorthand Reporter

Proofread by D. Drake